



KELLY AFB  
TEXAS

---

ADMINISTRATIVE RECORD  
COVER SHEET

AR File Number 3226.1

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

KELLY RESTORATION ADVISORY BOARD  
TECHNICAL REVIEW SUBCOMMITTEE

November 8th, 2005, 6:30 p.m.  
Environmental Health & Wellness Center  
911 Castroville Road  
San Antonio, Texas 78237  
Reported by Arlinda Rodriguez, CSR

APPEARANCES

RAB Community Member Attendees:

- Robert Silvas, Community Co-Chair
- Rodrigo Garcia
- Michael Sheneman
- Armando Quintanilla
- Henrietta LaGrange
- Coriene Hannapel
- Nazarite Perez
- Nancy Garcia - Alternate for Mr. Ruben Martinez

RAB Government Member Attendees:

- Mark Weegar, Texas Commission on Environmental Quality (TCEQ)
- Gary Miller, Environmental Protection Agency, (EPA) Region VI

Other Attendees:

- David Smith, Facilitator
- Sonja Coderre, Air Force Real Property Agency (AFRPA)
- Norma Landez, AFRPA
- Bill Hall, AFRPA
- Todd Colburn, AFRPA Contractor
- Eduardo Martinez, AFRPA Contractor
- Heather Ramon-Ayala, AFRPA Contractor
- Abigail Power, TCEQ (Alternate for Mr. Mark Weegar)
- Greg Lyssy, EPA, Region VI (Alternate for Mr. Gary Miller)
- Kyle Cunningham, San Antonio Metropolitan Health District (SAMHD) (Alternate for Ms. Melanie Ritsema)
- Alan Ferrell, SAMHD
- Bianca Guerrero, Community Member
- Norma de los Santos, Community Member
- Chris Cunanan, Community Member
- Carol Yzaguirre, Community Member
- Mr. Rob, Community Member - (unidentified last name)

**ORIGINAL**

1 (Proceedings began at 6:36 p.m.)

2 MR. SMITH: My name is David Smith. I'm  
3 the RAB facilitator. This of course is the November  
4 meeting of the Kelly Restoration Advisory Board  
5 Technical Review Subcommittee. If we can take a quick  
6 moment and run through an agenda review and a packet  
7 review to reaffirm what's in your packets.

8 On the agenda are standard administrative  
9 items -- the BCT update, the documents that are being  
10 forwarded to the RAB, and the action item reports.  
11 You'll also find somewhere around 7 o'clock ready to  
12 look at the spill summary report followed by Class 3  
13 modification update and a cap update. Those are  
14 reflective in your packets.

15 In the packets the first item you'll find  
16 are the October RAB draft minutes. Also the October RAB  
17 BCT minutes; the listing of documents that are going to  
18 the RAB; the action items from September, October  
19 including a tab summary, which will also be reflected  
20 with the agenda; information on the Class 3 modification  
21 update; and, finally, Mr. Hall's presentations on the  
22 ground water treatment plant spillover.

23 So those are all in there. We will try  
24 to pick them up as we go through that. We've been asked  
25 by one of the RAB members, Ms. Hannapel, to have a

1 moment to make a comment. If this will work for you,  
2 this will be the time you can do that.

3 MS. HANNAPEL: Just a very quick  
4 comment. Okay. It's pertaining to the letter that was  
5 sent out to the 12,000 people last time -- you know,  
6 last time -- the last meeting we did not have any people  
7 here. As a matter of fact, no one showed up.  
8 Ms. Coderre said she could give me a copy of that  
9 letter.

10 But what I wanted to ask was what kind of  
11 information is going out to the people? And I'll try to  
12 make this very brief. For instance, did these 12,000  
13 people get a summary of this leak that just happened?  
14 Did they get notification of that? And I will actually  
15 turn in these questions.

16 MR. SMITH: Please.

17 MS. HANNAPEL: So I will do that. I have  
18 a couple of fact sheets that were on the Web site. And  
19 these fact sheets make it sound to me like everything is  
20 going all right. So the people are getting these. I  
21 wonder if that was perhaps one of the reasons. I asked  
22 this question before. It says, When the chlorinated  
23 solvents come into contact with our environments and  
24 PRBs, they break down into carbon dioxide and mineral  
25 chloride. I'd like verification of that. Okay.

1           And also one of the fact sheets -- I have  
2 a copy of it here. It says lactate is a vegetable-like  
3 substance which is used in the remediation. I'd like  
4 verification of that. Is it in fact a vegetable  
5 oil-like substance, as it says in the fact sheet.  
6 Because I don't believe it is, and I think I posted for  
7 that.

8           MR. SHENEMAN: It isn't.

9           MS. HANNAPEL: I know it isn't. And I'd  
10 like verification of that. And I have asked that before  
11 and have not gotten an answer to that.

12           And very quickly, regarding the fact that  
13 the Kelly is separated by the -- from the Edwards  
14 Aquifer by 1,000 feet of impermeable clay and rock. I'd  
15 like for someone to explain how clay and rock can be  
16 impermeable. George Rice was here last time.  
17 Unfortunately, I did not get the information to him  
18 probably in a way that I could print out. He has copies  
19 of points that indicate this action did go to the  
20 aquifer. I don't know anything about that, but he did  
21 mentioned that he has something to me, but I couldn't  
22 print it out. Okay.

23           So I will turn these in. Hopefully I  
24 will get some answers. One other question. Has any  
25 information gone out to the people about the effects of

1 these chlorinated solvents as they break down. We're  
2 told in the fact sheets they break down to sort of a  
3 happy product, like water and carbon dioxide. But,  
4 actually, they break down into VCU, Vinyl chloride,  
5 which are all carcinogens. So I'd like to know if that  
6 has actually gone out to people.

7 MR. SMITH: Okay.

8 MS. HANNAPEL: Thank you very much.

9 MR. SMITH: Ms. Hannapel, I do understand  
10 that you're going to write those down?

11 MS. HANNAPEL: I am, yes.

12 MR. SMITH: As you may have noticed, we  
13 have a new court reporter tonight. Would y'all  
14 please -- I have to ask, would you please use your names  
15 so that she isn't totally lost. And we'll have to  
16 remind you of that, I'm sure.

17 MR. SILVAS: Robert Silvas. Before we go  
18 on, I'd like to throw out, if any other RAB members  
19 would like to make a comment before we move on?

20 Anybody else?

21 MR. GARCIA: I want to read a speech, if  
22 you don't mind.

23 MR. SILVAS: Will it be brief?

24 MR. GARCIA: First of all, I want to  
25 apologize to my fellow RAB members for missing our last

1 meeting. I was in school at a major Ivy league  
2 university getting more training, certifications in my  
3 degree. Yes, my degree. I now have a professional -- a  
4 professional degree. I'm a professional who acts  
5 responsibly and has a responsibility to the community,  
6 which I must fulfill, in construction engineering from  
7 Columbia University.

8           Unlike the AFRPA, I take my professional  
9 responsibility very seriously and work in a  
10 professional, responsible, and in a manner which  
11 requires me to work well with the public I am going to  
12 respond to.

13           You AFRPA people are a disgrace to  
14 professionalism and do not take your professional  
15 responsibilities to the RAB very seriously. You are  
16 crude, rude, vicious, and disrespectful to all members  
17 of the RAB and the community and do not function well  
18 with us.

19           You people should attend some of the  
20 classes in responsibilities as a government official and  
21 your responsibilities to minority communities that I  
22 took part in at John F. Kennedy School of Government at  
23 Harvard. Maybe there you will learn some dignity,  
24 professionalism, and respect for the community you are  
25 supposed to be serving. You people also have no

1 professional on personal honor.

2 Many men and women earned honor in the  
3 military in blood, bullets, and body bags. You  
4 bureaucrats don't understand that. Your job is to step  
5 on RAB, try to crush us, suck up to your federal  
6 supervisors, and collect an undeserved paycheck.

7 All the RAB members, new and existing,  
8 will receive a copy of the complaint that I filed and  
9 the answer I got from federal officials that spells out  
10 the incompetence, inadequacies, and the poor performance  
11 of the AFRPA. It is all full of political rhetoric and  
12 excuses.

13 With that you will also receive a copy of  
14 the letter of response from Antwine and his disgraceful  
15 staff. These disgraceful people have a bureaucratic  
16 answer for everything. This is not acceptable. They do  
17 not provide a support data to back up their bureaucracy,  
18 nor do they fully justify their actions for providing  
19 accountability to community RAB members of the  
20 surrounding minority community.

21 I request that you -- you AFRPA people  
22 and Antwine consider submitting your letters of  
23 resignation and let the Air Force hire people who will  
24 face their responsibilities and work with community RAB  
25 members and the community members of this minority



1 community.

2 I also request that the RAB members  
3 review both letters and then realize the professional  
4 and bureaucratic incompetence I received in that letter  
5 from Washington.

6 This is the first skirmish in a war to  
7 bring change and professional responsibilities to our  
8 work. We need an AFRPA staff who cares about people who  
9 are dying in our community due to air, ground, water,  
10 and health issue contamination. How many more Kelly  
11 workers must die? How many more community members must  
12 die?

13 The war will continue. I'm not -- I'm  
14 not through with your people yet. This is just the  
15 first skirmish. You will see more actions against you  
16 if you continue on your bureaucratic ego trip and now  
17 try to start a job on me for trying to bring change and  
18 cooperation from you people. You don't care. You don't  
19 live here. We look forward to see resignations from  
20 Antwine and your Air Force legal stooges.

21 The war is just beginning. You people  
22 need to realize that you're here to serve us, not your  
23 little clique of bureaucratic people at the AFRPA. We  
24 will seek justice, and this minority community needs  
25 justice.

1                   If I have to bring the congressman and  
2 senators for a public congressional hearing, if I have  
3 to go that far, I will. And believe me, I have the  
4 power and the knowledge on how to get that  
5 accomplished. Because these people are not cooperating  
6 with us. Everything is a bureaucratic answer. And you  
7 will see from the letter that I got from Washington when  
8 you read it. Thank you, sir.

9                   MR. SMITH: I might trouble you when  
10 we -- to get a copy so that the court reporter can get  
11 an accurate --

12                   MR. GARCIA: Yeah. I'll give her the  
13 original. My name is Rodrigo Garcia, Jr., RAB member  
14 from the community. One of the members of the community  
15 that's dying because of all this contamination.

16                   MS. HANNAPEL: I'd just like to thank my  
17 students from Northwest Vista for showing up this  
18 evening. Thank you very much.

19                   MR. SMITH: Okay. That moves us to the  
20 administrative section of the agenda. First item I'm  
21 showing is the BRAC Cleanup Team, the BCT update.  
22 Ms. Landez?

23                   MS. LANDEZ: Good evening. I'm Norma  
24 Landez, the BRAC environmental coordinator. I represent  
25 the Air Force Real Property Agency on the BRAC Cleanup

1 Team. The minutes from the October BRAC Cleanup Team  
2 meeting are in your packet and available for your  
3 review. And we did not have a meeting today as the  
4 BRAC Cleanup Team. So I don't have any -- any summary.

5 MR. SILVA: When's the next meeting?

6 MS. LANDEZ: It will be December.

7 MR. SILVA: December what?

8 MS. LANDEZ: Probably the 6th. We  
9 haven't decided yet.

10 MR. QUINTANILLA: Do we have any  
11 documents that will be presented to the -- to the -- for  
12 review to the TRS committee for review?

13 MS. LANDEZ: The only thing that we've  
14 submitted in the packet just recently was the -- which  
15 was in previous RAB submittal -- document submittals.

16 MR. QUINTANILLA: But none for this  
17 meeting?

18 MS. LANDEZ: No. I mean, we just had two  
19 letters for the TCEQ responded to -- I'm sorry -- to  
20 some closures some tank closures that we did and those  
21 are identified and then we also had a response to our  
22 Class 2 modification and that's in your packet also.

23 MR. QUINTANILLA: Thank you.

24 MR. SMITH: As we noted earlier -- excuse  
25 me. Ms. Landez just pointed out the documents with TRS

1 you have are in fact the letters from reports that she  
2 mentioned included in the packet. Item C is the action  
3 item reports which are also included in your packet.  
4 Several pages of that, which they want you to work your  
5 way through.

6           Next item on the agenda is the spill  
7 summary report, the East Kelly Ground Water Treatment  
8 Plant. Mr. Hall?

9           MR. HALL: Good evening. As he said, my  
10 name is Bill Hall. First of all, I'd like to welcome  
11 you and thank you for coming out. I appreciate the  
12 folks that are out here. It shows your concern. As we  
13 go through this, I've had the opportunity with -- to  
14 meet several of you on a tour I did of the groundwater  
15 treatment plant a couple of weeks ago. Some of you are  
16 new. But I would like to restate something that I  
17 stated then. As I go through this presentation, the  
18 most important thing is at the end of this  
19 presentations, you have your questions answered.

20           If you have a question, please, I beg of  
21 you, stop me and ask me. Okay. If I don't know the  
22 answer, I'll tell you I don't know the answer. But I  
23 also will tell you that I'll find the answer. If we do  
24 that, then I will have done my job, which is to answer  
25 your questions about what happened, why it happened,

1 what we're doing about it. That's what this whole  
2 presentation is about.

3           The groundwater treatment plant -- Zone 4  
4 Groundwater Treatment Plant is located on East Kelly.  
5 It's physical address is 3837 Eastern Road. We opened  
6 this plant and started operation in 2002. And I'm not  
7 going to read this to you. Y'all can read. What I will  
8 do is I'll kind of summarize. These are some of the  
9 things to show you how we've operated, how much we  
10 processed, our efficiency rate. As you look through  
11 here, if you have any questions as to what I'm saying,  
12 please ask me.

13           Okay. What I've tried to do is show you  
14 that during this time period, we've treated a lot of  
15 water. One of the questions that was asked in the  
16 previous tour that I gave -- I believe Mr. Quintanilla  
17 asked how much water we were producing in certain  
18 plants. We went back and looked at, since we opened  
19 this plant, what have we processed. What have we been  
20 able to do, and how much water have we put through it.

21           Our efficiency rating, we paid a lot of  
22 money to build this plant. What are we doing to make  
23 it run? What are we doing to make it more efficient?  
24 Those are the numbers that I give you here.

25           Currently, our normal flow runs about

1 150 gallons a minute based on the water that we're able  
2 to get out of the wells that we're currently using. We  
3 have to keep this level in order to keep the system  
4 running. As we go through the presentation -- and you  
5 have it in your handout -- the flow is very important to  
6 this particular process. The day of the spill that  
7 morning, one of our wells went down. And we'll talk  
8 about what happened. The well went down, what caused  
9 the spill, and those kinds of things.

10           Okay. Before I proceed to each spill,  
11 I'll ask the same question after each slide. Do you  
12 have any questions on this slide? And the reason I do  
13 that is because it makes the flow better. The slides  
14 were set up in order to make the flow better so that I  
15 can help you understand what went on better. And if you  
16 ask a question on our next slide, we won't have to come  
17 back and disrupt the flow. Yes, sir?

18           MR. GARCIA: You mentioned four recovery  
19 wells operating and you're recovering 150 gallons per  
20 minute. What is the condition of the water you're  
21 recovering? What are the contaminants you're finding in  
22 that water?

23           MR. HALL: The contaminants we're  
24 finding -- the primary chemicals of concern we utilized  
25 are the TCE, PCE. There's a list of them on the last

1 slide. You don't have to write them down. There's a  
2 list. It also gives you some levels on that list that  
3 are coming into the plant. The last slide that I'll  
4 talk about, the last slide in the presentation. So we  
5 talked about what we're getting, how much we're  
6 getting. Okay. Yes?

7 MR. QUINTANILLA: Yes. What time did the  
8 spill occur on October the 5th?

9 MR. HALL: Okay. We're coming up to  
10 that. The spill -- the system shut down at 11 o'clock  
11 that night.

12 MR. QUINTANILLA: What time were you  
13 informed of this?

14 MR. HALL: I was informed of it at 7:30  
15 in the morning.

16 MR. SHENEMAN: How?

17 MR. HALL: The technician that went to  
18 the site noticed that the plant had water coming out the  
19 doors. And he called Mr. David Poole, the field  
20 technician supervisor. Mr. Poole called me, and we went  
21 over immediately.

22 MR. QUINTANILLA: So this happened on  
23 October the 5th, and you weren't advised until October  
24 the 6th at --

25 MR. HALL: At 7:30 in the morning.

1 MR. QUINTANILLA: -- at 7:30 in the  
2 morning. One more question. How many gallons were  
3 spilled?

4 MR. HALL: I believe the number is -- on  
5 an upcoming slide. 36,600 I believe is the number.

6 MR. QUINTANILLA: Thank you very much.

7 MR. SILVAS: Robert Silvas. How did you  
8 come about that number?

9 MR. HALL: Okay. What you're doing is  
10 you're -- all the slides that I have coming up explains  
11 all these and shows it to you. So I'll tell you what.  
12 When we come to that. Like I'll tell you, when you ask  
13 a question like that's on an upcoming slide, it's okay.  
14 I'll say it's on an upcoming slide. You'll see it  
15 visually and we can talk about it and it will be easier  
16 to understand. Okay. Yes, ma'am?

17 MS. HANNAPEL: What day of the week is  
18 that. Is that coming on a slide?

19 MR. HALL: I believe it was a Tuesday. I  
20 don't remember the calendar day.

21 MS. HANNAPEL: So there's no system in  
22 place from nighttime 'til the morning?

23 MR. HALL: Yes, there is. And we'll  
24 cover that in the slide. You bet.

25 MR. GARCIA: Is somebody watching the



1 plant 24 hours a day, that they could have discovered  
2 this spill at 11:30 at night when it happened?

3 MR. HALL: Yes, sir. This's a mechanic  
4 or a computer mechanism set up to do that.

5 MR. GARCIA: I'm talking about a human.

6 MR. HALL: Well, yes. That's -- there's  
7 no one at the site, no, to answer that question. But is  
8 there someone --

9 MR. GARCIA: From what hours to what  
10 hours is that plant managed?

11 MR. HALL: That plant is covered --  
12 man-wise, we don't have anybody at that plant full time  
13 at any time. That plant is monitored -- remember the  
14 plant that you came over to visit that I took you  
15 through? The computer that we have there is manned from  
16 6:00 in the morning until 5:00 in the afternoon. That  
17 computer has a screen on it that shows the other plant.

18 It's monitored by means of the computer,  
19 reading the computer that is being activated at the  
20 other plant throughout the day. So it is monitored and  
21 watched throughout the day. Not only is the -- the  
22 plant monitored, but each of the wells is monitored. So  
23 it's being observed via the computer throughout the  
24 day. But there's nobody physically at that site.

25 MR. GARCIA: So nobody is watching it 24

1 hours a day to make sure accidents like this happen at  
2 11:00 at night?

3 MR. HALL: There's someone watching it,  
4 but they're not physically there.

5 MR. GARCIA: So if the spill happened at  
6 11:30 p.m., the response from a human didn't happen 'til  
7 7:30 in the morning?

8 MR. HALL: That's because the computer  
9 glitched. I'm going to explain that later, Mr. Garcia.

10 MR. GARCIA: Eight and a half hours of  
11 negligence.

12 MS. LAGRANGE: Henrietta LaGrange. Is it  
13 possible to put some kind of an alarm system there or  
14 something?

15 MR. HALL: We'll cover that. I'll show  
16 you what we have. I'll tell you what happened. I'll  
17 tell you what we've done to improve it.

18 MR. SILVAS: Was this human error or  
19 mechanical error?

20 MR. HALL: Mechanical.

21 MR. QUINTANILLA: And you're going to  
22 explain the cause of that mechanical error?

23 MR. HALL: To the best of our ability.  
24 You bet. Okay. Any other questions.

25 (No response)

1                   MR. HALL: Okay. Next slide. Normally,  
2 this is the process we're talking about. Water comes  
3 in. It's received from the field in this particular  
4 tank right here. You can see how many gallons it  
5 holds. It has a high level alarm switch. It's a sensor  
6 that's located right up here that faces down. When that  
7 sensor picks up the water getting to a certain level, it  
8 sets an alarm off. That alarm takes and tells the  
9 computer that we need -- that it will increase the flow  
10 in this pump to bring the water levels down. Once it  
11 does that, the water levels begin to come down. After  
12 the water -- after the high alarm hits the computer, if  
13 there's a high alarm and something happens and it  
14 doesn't, then the computer will shut down the well  
15 fields.

16                   Okay. On this spill day, what we can  
17 determine happened at this point was -- remember earlier  
18 in the slide before I talked about the fact that we have  
19 to have a minimum of around 150 gallons of water to keep  
20 the system running. One of the wells went down. It got  
21 clogged. It started overheating the pump. The well  
22 shut down to protect the pump. We got down to 90  
23 gallons a minute.

24                   My UV/OX skid, which I'm going to show  
25 you a picture of here in a second said, Hey, I don't

1 have enough water to run. What happens if I don't have  
2 enough water to run through that system -- you remember  
3 the bulbs I showed you when we did the tour. They get  
4 hot. They get too hot, they will explode. So what it  
5 does is it shuts the system down. It shuts the field  
6 down.

7                   Okay. What happened is that night, the  
8 sensor, we determined later on with other tests after  
9 the spill. We reset the computer and started running  
10 over to find out, okay, what happened here. The sensors  
11 that we have in this deal were working. It sent a  
12 message to the computer saying it got high. It got high  
13 because the UV/OX skid shut down to protect itself.

14                   Once it hit the high, it sent a message  
15 to the computer and the computer did not get a message  
16 out to the field and shut it down. That's why the spill  
17 occurred.

18                   MR. QUINTANILLA: Didn't communicate?

19                   MR. HALL: It communicated but it --  
20 yes. Exactly right. The computer did not shut the  
21 field down. Exactly right.

22                   MS. LAGRANGE: How often do you do  
23 maintenance on these tanks and pipes or ...

24                   MR. HALL: We normally do checks and  
25 maintenance on these -- we're at the site on a daily

1 basis. We're going to check it. We have a weekly  
2 physical check of the system itself. To answer your  
3 question, a weekly check.

4 MR. QUINTANILLA: Can you provide us a  
5 checklist of your weekly check?

6 MR. HALL: Sure. Could somebody note  
7 that I need to get that? Absolutely. I've got daily  
8 checks that get done that are done at each plant. I  
9 have weekly checks, I have biweekly checks, and monthly  
10 checks. And they're all based on the type of equipment  
11 and how the manufactures suggest to check the equipment.

12 MR. QUINTANILLA: One question. Does all  
13 of these weekly, monthly, and daily checks, do you look  
14 at the sensor?

15 MR. HALL: We haven't been.

16 MR. QUINTANILLA: You have not been  
17 looking at the sensor?

18 MR. HALL: No.

19 MR. QUINTANILLA: How far back was that  
20 sensor installed?

21 MR. HALL: That sensor was initially  
22 installed when the building was built.

23 MR. QUINTANILLA: When was that?

24 MR. HALL: It started running in I  
25 believe October 2000.

1 MR. QUINTANILLA: Since 2000? That  
2 building has been running in 2000, and no one has ever  
3 looked at the sensor.

4 MR. HALL: We watched -- the computer  
5 giving us the indicator that it's been working, yes.  
6 The only way you can check that is by filling it up to  
7 see that it shuts off. It does that every day. On the  
8 weekly checks that's noted. It's noted that it has  
9 been -- that it has governed and watched the high flows.

10 MR. SILVAS: Who's responsible for that  
11 computer program?

12 MR. HALL: Ultimately, I am.

13 MR. SILVAS: Who wrote it?

14 MR. HALL: The contractors wrote -- by my  
15 contractor.

16 MR. SILVAS: Which is?

17 MR. HALL: SAIC.

18 MR. SILVAS: Thank you.

19 MR. HALL: The program is out of  
20 Pennsylvania, where the primary -- that's their only  
21 job, is programing. And those programs -- after this  
22 incident occurred, all of those programs were checked  
23 and were all properly done. It was a mechanical, not a  
24 programming error.

25 MR. SHENEMAN: Two questions. One: Is

1 your sensor a ball-cock type of a float?

2 MR. HALL: No. It's a. --

3 MR. SHENEMAN: Tube?

4 MR. HALL: No. It's a -- it sends a  
5 signal down, and it's received, bounced back up, and  
6 I've gone brain dead on the terminology for it. But  
7 it's an ultra sonic type.

8 MR. SHENEMAN: A doppler of some kind?

9 MR. HALL: It sends a signal down,  
10 bounces off the water, and comes back.

11 MS. HANNAPEL: Yeah. Two questions.

12 MR. HALL: I'm sorry. You had two  
13 questions.

14 MR. SHENEMAN: Last time I was there, one  
15 of your folks corrected me about what polishing the  
16 water means. Well I told -- what we used to hold four  
17 water treatment licenses for proper water. What  
18 polishing to me is both the activated carbon and the  
19 hydrogen peroxide. Is that how you're defining  
20 polishing?

21 MR. HALL: No. We define the polishing  
22 as after the hydrogen peroxide is injected in UV/OX,  
23 it's treated. That's the treatment. The polishing  
24 portion is when after it's been treated, that it's sent  
25 through the GAC units, Granulated Activated Carbon

1 units. And that's what's considered our polishing.

2 MR. SHENEMAN: So it's a two-step  
3 process?

4 MR. HALL: Actually, the -- well, you're  
5 putting polishing together. Where I put primary  
6 treatment and the final polishing, the insurance that I  
7 have actually cleaned the water to meet the  
8 requirements. It's two separate things.

9 MR. SHENEMAN: That makes sense to me,  
10 but I was corrected as far as the polishing.

11 MR. HALL: Yes, ma'am?

12 MS. HANNAPEL: Okay. Two questions.  
13 One: Do you have routine checks ever at night and on  
14 the weekend? And the second question is: Now that the  
15 sensor has failed, is there a plan in place to check it?

16 MR. HALL: Yes. We're going to cover  
17 that in depth in the upcoming slides. And we also  
18 installed mechanical devices that will eliminate -- if  
19 the computer goes down and if we have this glitch that  
20 we have, we have now installed -- we will have installed  
21 by Friday the mechanism to where it will shut off no  
22 matter what.

23 MS. HANNAPEL: Why wasn't that installed  
24 before?

25 MR. HALL: It wasn't foreseen to be a



1 problem. We had what we believed was the secondary type  
2 of mechanism to prevent this with the high and the  
3 high-high alarm. And we had a combination glitch that  
4 caught us virtually, I guess, with our pants down.

5 MS. HANNAPEL: Did you have data or  
6 various systems like this set up elsewhere? Data on --

7 MR. HALL: No, we don't.

8 MS. HANNAPEL: And the question about the  
9 nighttime and weekend checks?

10 MR. HALL: No. We have no one go out  
11 there physically, but we do look at those during the  
12 evening. I have a laptop computer that I check that I  
13 can plug into the units and check from my house. And  
14 the plant manager and the plant operator also has a  
15 labtop that we can -- we can punch in and check and look  
16 to see that the system's working.

17 MS. HANNAPEL: But that didn't work. So  
18 if it happened -- if this happened at 6 o'clock Friday  
19 evening, no one would have noticed it 'til Monday  
20 morning?

21 MR. HALL: No. They would have  
22 noticed -- we sample from those plants on Saturday and  
23 Sunday. Every Saturday and Sunday. We sample from  
24 those plants every day. Those plants are visited every  
25 weekend, every holiday. And samples are taken to meet

1 the regulatory requirements for our permit.

2 MR. QUINTANILLA: This sampling is done  
3 during daylight hours only?

4 MR. HALL: Yes, sir.

5 MS. GUERRERO: Bianca Guerrero. Due to  
6 the information we have, now that you realize the system  
7 has failed, why isn't it going to be implemented that a  
8 person will not be there to check on the system itself?  
9 You can't necessarily depend on a computer or a double  
10 back computer to check on something that is going to be  
11 rechecked itself. So my question is --

12 MR. HALL: I can depend on something  
13 mechanically that's been established to depend on nature  
14 in order to alert. And that's what we're installing.  
15 We're installing a setup to where if the computer goes  
16 completely out --

17 MS. GUERRERO: Yes, sir. But computers  
18 will fail.

19 MR. HALL: Well, that's what I'm saying.  
20 Even if it fails, if the computer completely fails and  
21 shuts down, by Friday we will have a system set up to  
22 where it will shut the fields down as soon as the high  
23 level is detected.

24 MS. GUERRERO: But wouldn't it be better  
25 to have somebody actually there and not wait 'til the

1 upcoming day to notify somebody, say yourself? You  
2 know, because you have that leeway time between to where  
3 the system will automatically shut down and go into the  
4 next day.

5 MR. HALL: To answer your question, yes,  
6 it will be better. But I have a budget, and I need to  
7 look at, if I can do it in a manner that doesn't have to  
8 sit someone out there -- you know, one of reasons I  
9 established this whole computer setup in order for it to  
10 have a mechanism to call and stuff was to save in the  
11 range of a million dollars a year in man hours so that I  
12 wouldn't have to someone sitting out there.

13 MS. GUERRERO: So you're saying by saving  
14 on budget and only going out and looking at this one- or  
15 two-plant area once a week and only during the day,  
16 you're saving money. But this has caused a great deal  
17 of money that's going to be spent because of something  
18 that could have been fixed by a minute amount of money.  
19 It could have been avoided.

20 MR. HALL: Well, there's not -- well ...

21 MS. GUERRERO: I mean, really and truly,  
22 this has been creating a great deal more amount of money  
23 that's going to be spent than just by having somebody  
24 there on a rotator shift of you stay in the morning or  
25 somebody else will stay in the evenings of this man hour

1 over-budget that you're talking about.

2 MR. HALL: Well, there's not going to be  
3 a lot of money spent on the cleanup because of the level  
4 of the contaminants in the water. We'll talk about  
5 that.

6 MS. GUERRERO: It's still a contamination  
7 and it affects everybody.

8 MR. HALL: Well, when I show you some  
9 numbers, you know, contamination -- the definition of  
10 contamination is different to different people. What I  
11 need to show you, which I will show you, is levels that  
12 will hopefully, or should, make you feel more  
13 comfortable about what we're doing. And the last slide  
14 that you have there, the one that I told you about with  
15 the numbers and stuff, shows you numbers. And that  
16 should help you tell you where we're going.

17 MR. QUINTANILLA: Mr. Hall, you mentioned  
18 budget twice. What is your budget?

19 MR. HALL: My budget currently for  
20 running all three of the plants --

21 MR. QUINTANILLA: Or whatever you were  
22 talking in context with what the question was.

23 MR. HALL: It runs about \$330,000 a year  
24 to run that plant.

25 MR. QUINTANILLA: \$330,000.

1 MR. HALL: And the associated fields.

2 MR. SILVAS: Have you been coming under  
3 budget or over budget?

4 MR. HALL: I don't have an under/over  
5 budget.

6 MR. SILVAS: In the end of your fiscal  
7 year, do you have money left over?

8 MR. HALL: No.

9 MR. SILVAS: So you flatly go over, or  
10 are you meeting the budget?

11 MR. HALL: I'm meeting the budget. My  
12 job is to meet the budget.

13 MR. PEREZ: On this spill date, the  
14 computer failed to shut the well?

15 MR. HALL: Correct.

16 MR. PEREZ: So y'all reset it, and then  
17 it worked? The test worked.

18 MR. HALL: Yeah.

19 MR. PEREZ: And what other procedures did  
20 you take after that?

21 MR. HALL: As far as a safety mechanism  
22 built in?

23 MR. PEREZ: Were you satisfied with the  
24 resetting and it working?

25 MR. HALL: No. That's why we've

1 established -- like she mentioned, one of the things I  
2 have to do is establish -- a computer glitch is going to  
3 happen. If you've worked with computers much in your  
4 life, you know at some point it's going to lock up.  
5 Something's going to happen. What we've established is  
6 we a felt mechanism -- even if the computer shuts down  
7 like she mentioned, there will be a mechanism in there  
8 that will shut that down. It will be at the -- even if  
9 the sensor isn't working, there's a mechanical mechanism  
10 that simply works by nature.

11                   It's like your toilet bowl. If that  
12 float hits a certain level -- like you were talking  
13 about before, if that float gets to a certain level, it  
14 will hit a switch, which doesn't go through the  
15 computer, which doesn't do anything but shut the field  
16 down immediately.

17                   MR. PEREZ: Okay. Is this a new setting  
18 you're talking about?

19                   MR. HALL: Not a new setting. It's a  
20 whole new set of hardware that we're installing. I  
21 don't want to piggyback on something that has shown that  
22 has a potential for a glitch. That would be silly.

23                   MR. PEREZ: But you're doing something  
24 about it?

25                   MR. HALL: Yes, sir. And that's the

1 important thing? Yes, sir?

2 MR. GARCIA: Did the EPA and the GEC here  
3 investigate this? And what kind of sanctions and fines  
4 are they going to give the AFRPA over this act?

5 MR. HALL: The TCEQ will request a report  
6 from us, and they will get basically the same  
7 investigation that I'm giving you. If they have any  
8 additional questions, they will ask me. And after that  
9 is -- after that's done, that report goes through --  
10 Ms. Landez and I have been working on that report. Once  
11 it gets up to them, it's up to them. Any questions that  
12 you want to know after that, I have no answer to. I  
13 have some regulators here that can get you those  
14 answers. I don't have them.

15 MR. GARCIA: Is this reported to the EPA  
16 also besides the TCEQ?

17 MR. HALL: I do not report to the EPA. I  
18 report to the TCEQ. I have no requirement to report to  
19 the EPA.

20 MR. SHENEMAN: Let's just kind of walk  
21 through this thing. You've got a flow of water in some  
22 kind of an aquifer. And as you know, I've been out to  
23 classes many times, to your talks. And at one point in  
24 time I asked, how fast does this equipment -- does this  
25 water course run. And at one point in time, it seemed

1 like it was 20 feet in 24 hours or 24 hours. I  
2 can't ...

3 MR. HALL: It varies throughout the  
4 aquifer.

5 MR. SHENEMAN: I would think so.

6 MR. HALL: Depending on the permeability  
7 of the -- the water-bearing strength of the aquifer it  
8 dictates. It ranges. And quite honestly, I don't know  
9 that the low range and the high range. I don't know.  
10 But it's a whole lot slower than you think.

11 MR. SHENEMAN: It's very dry right now.  
12 Okay. So then this pump shuts down. That means the  
13 contaminated water is going past this point of  
14 extraction, right?

15 MR. HALL: Uh-huh.

16 MR. SHENEMAN: Is there any mechanism  
17 downstream to recapture or does the contaminated water  
18 keep on going?

19 MR. HALL: I can speak to my incident  
20 that occurred, given the time that it's down, which is  
21 the longest my plant has ever been down in that type of  
22 incident. Okay. The water only moved several feet.  
23 Once I turned those pumps back on, the radius of  
24 influence that I have, which is the area that those  
25 pumps will draw water back, captured any water that



1 traveled from the time the pump shut down 'til the time  
2 I turned it on.

3 MR. SHENEMAN: Let's go back and look at  
4 the pump. I understand that these are submersible pumps  
5 and they're water cooled with the fluid that they're  
6 pumping. I understand that. If you said that there  
7 was -- what would you call it? Foreign particulate  
8 matter got into it?

9 MR. HALL: Shuts it down.

10 MR. SHENEMAN: What was that foreign  
11 particulate matter?

12 MR. HALL: Just dirt.

13 MR. SHENEMAN: Just dirt?

14 MR. HALL: Yeah. Any time you have any  
15 type of well that's been in the ground for any time  
16 period, there's a potential for dirt to get in the slots  
17 that we use to bring water through.

18 MR. SHENEMAN: Right.

19 MR. HALL: At some point. We pull these  
20 horizontal wells that we have over in that area, we pull  
21 those out and we clean them. And we watch them on the  
22 computer and it tells us -- when they get clogged up and  
23 they shut down, we pull them out and we clean them and  
24 put them back in. And about a four-hour time period is  
25 what it takes to pull them out and clean them.

1 MR. SHENEMAN: I guess the problem I'm  
2 having is if the pump shuts down, if it's not  
3 conditioned in this case with water, then how did you  
4 have a spill?

5 MR. HALL: Because I -- that's only one  
6 pump of four that were running. I still had three pumps  
7 pumping water in the plant.

8 MR. SHENEMAN: So you had two problems at  
9 once. You had a pump down and you had three continuing  
10 to pump?

11 MR. HALL: Well, three continuing to pump  
12 is a good thing. The bad thing was because the water  
13 flow went below the level that needs to go through the  
14 UV/OX skid, it shut down. No. It's good that the pumps  
15 keep going. The computer glitch was the only problem.  
16 The sensors worked. All the sensors in all the areas  
17 worked. But when they sent the message to the computer,  
18 there was a glitch and it didn't shut the system down.  
19 That's what I fixed.

20 MR. SHENEMAN: One other thing. When did  
21 this thing happen? It was some -- Norma said it was the  
22 5th of October, and one of your colleagues was saying  
23 some other time.

24 MS. LANDEZ: I said the 5th.

25 MR. HALL: There was a lot of

1 communications going on, a lot of things happening, and  
2 these are the correct dates we have here.

3 MR. SHENEMAN: One more question, and  
4 I'll shut up. Back to the spill. You quoted it was  
5 something of 36,000 gallons and some change. Okay. How  
6 did you arrive at that?

7 MR. HALL: I've got the calculation in an  
8 upcoming slide, and we'll go through that. Otherwise,  
9 I'm going to repeat myself and go with the flow of the  
10 deal. It's a real easy calculation.

11 MR. SILVAS: What evidence do you have  
12 that the filters got clogged? Were there any photos  
13 taken of that? And what about the dirt? Where did it  
14 go?

15 MR. HALL: No, I don't have any pictures  
16 because they clog all the time. They pull them out and  
17 clean them and put them back in. And the question on  
18 the dirt, when this --

19 MR. SILVAS: You had to take the filters  
20 out, no?

21 MR. HALL: The filters? No. The pump  
22 itself is taken to the groundwater treatment plant where  
23 you visited. And they're cleaned there, and all of that  
24 dirt and all of the stuff that's there goes into the  
25 system. It's treated as a Zone 2 system.

1 MR. SHENEMAN: How far down is this  
2 hole?

3 MR. HALL: Those are horizontal wells,  
4 and they range anywhere from 20 to -- I believe the  
5 deepest is 45 feet.

6 MR. SHENEMAN: Horizontal wells?

7 MR. HALL: Yes. They're not vertical  
8 wells that go down and you have a small area. They go  
9 down like the old oil -- it was developed in the oil  
10 fields in order to get more. And what we have is we've  
11 got ten horizontal wells that overlap, so there's no way  
12 it can get through.

13 MR. SILVAS: Who was the builder of  
14 this?

15 MR. HALL: Weston was the people who  
16 built the plant. Bore something -- Long Leer (phonetic)  
17 Boring was the people who did the horizontal wells. And  
18 they are experienced oil field drillers who helped  
19 develop the horizontal wells back when the oil fields  
20 first developed them.

21 MS. LAGRANGE: Were you given any type of  
22 discipline for not preventing this accident from  
23 happening?

24 MR. HALL: No.

25 MR. SHENEMAN: What are they going to

1 do? Whip him?

2 MR. HALL: A computer breaks down, which  
3 is a normal function. Every computer there breaks  
4 down. My job isn't to -- you know, I know when I put  
5 the system in things are going to break. I do  
6 everything I can to not only look my supervisor in the  
7 face but look you in the face and tell you I do  
8 everything I can to make sure that it works 100 percent  
9 of the time. But I also -- I also know stuff breaks.

10 MS. LAGRANGE: Also, you mentioned that  
11 you hook up to your computer, your laptop, and you check  
12 on this. Is there a certain hour that you look at it,  
13 or you just do random times? Like before you go to bed,  
14 Oh, I'm going to check and see how this pump is working.

15 MR. HALL: It's just random times, and  
16 it's not necessarily every night either. I go by the  
17 flow, and all my technicians tell me the systems are  
18 running and stuff like that. And when we get to the  
19 next couple of slides, it will tell you why I don't  
20 under normal conditions.

21 Does anybody have their hand over here.  
22 If you do, wave or throw something at me. Just be  
23 careful. I bruise easy. Any other questions? Good  
24 questions.

25 Okay. Go ahead and hit the next slide.

1 Chain of events. These are the time tables that we're  
2 talking about. Chain of events: 7:30, my contractor  
3 calls me and tells me this is what's happened. Some of  
4 this I've already covered. I'll go through it very  
5 quickly.

6 Mr. Poole was notified. My field  
7 technician, supervisor, manager. He calls me. We  
8 immediately go to the site and begin the investigation.  
9 Two things we investigate, the extent of the spill  
10 around the plant and what's the water touched. That's  
11 something -- the first question that comes out of your  
12 mouth is. Okay. What did the water touch? All  
13 right. So we go over and we look. Second thing we  
14 establish to ask is, obviously, we shut it down. We  
15 start talking about all right. What caused it?

16 This is not an easy investigation.  
17 It's -- those of you who have worked with computers and  
18 worked with mechanical things, you know that now you've  
19 got to kind of back engineer and try to find out what's  
20 gone on and what's happened. So it takes a little bit  
21 to do that.

22 We removed the water in the building. We  
23 pumped it out and put it in trucks and took it over to  
24 my Zone 2 plant, my large plant. Treated it over  
25 there. Washed down the building. We clogged the

1 water. And then all of that water is also taken to my  
2 plant and treated.

3 MR. SHENEMAN: I don't know that I've  
4 been in this plant, but I've be in others many times.

5 MR. HALL: I don't believe you have.

6 MR. SHENEMAN: Are there floor drains in  
7 there?

8 MR. HALL: No.

9 MR. SHENEMAN: Then how did you capture  
10 that water?

11 MR. HALL: It sat there.

12 MR. SHENEMAN: It pools in the middle?

13 MR. HALL: Yes. It's a sealed floor.  
14 It's a painted sealed floor.

15 MR. SHENEMAN: I understand that. But it  
16 pooled.

17 MR. HALL: I don't want to put drains for  
18 this very reason: If I had drains, then I'd be trying  
19 to explain to you why all this water went in the drain  
20 that shouldn't have gone.

21 MR. SHENEMAN: That's right.

22 MR. HALL: So no. I don't have drains.  
23 I'll never have a drain in the plant.

24 MR. GARCIA: How deep did that water get  
25 in the building?

1 MR. HALL: About seven inches.

2 MR. GARCIA: So do you have a perimeter,  
3 a curb or something that will hold seven inches worth of  
4 water, about this much?

5 MR. HALL: Yes. It's painted up and  
6 sealed. Yes, sir.

7 MR. GARCIA: Even where you have the  
8 doors that open?

9 MR. HALL: Now, the seven inches is up to  
10 where that part -- to where it will start flowing out of  
11 the building.

12 MR. GARCIA: So none of it flowed out of  
13 the building at that point, like where the doors were?

14 MR. HALL: Until it got to that point, it  
15 stayed in the building. And I showed you. We have some  
16 calculations. The questions that keeps popping up,  
17 which is an excellent question, is how did I determine  
18 how much left the building. And part of that is the  
19 measurements of the building minus the depth of the  
20 floor. It was still in there. And that determined what  
21 was left in the building.

22 MR. GARCIA: Did any -- you captured  
23 seven inches deep worth. But if it got more than seven  
24 inches deep, that means it slipped out through the  
25 door.



1 MR. HALL: Yes, it did. And I got  
2 pictures of that. Exactly right.

3 MR. SHENEMAN: Do you have a flow meter  
4 in line going to the building so that you know how much  
5 water was --

6 MR. HALL: I have several.

7 MR. SHENEMAN: At a given point?

8 MR. HALL: Yes.

9 MR. SHENEMAN: All you have to do is just  
10 subtract --

11 MR. HALL: I have the calculations here.  
12 We'll talk about that in just a minute. But that is a  
13 very valid question. That is one we addressed  
14 immediately.

15 Okay. But the most important thing is  
16 how much water is left in my building? How much water  
17 is on the grass? That's one of the most important  
18 questions you asked. And we'll cover that.

19 MS. HANNAPEL: I'd like to go back to  
20 that question I asked about why there was no check on  
21 the sensor. Certainly there must be other sensors like  
22 this used around the country. I still don't understand  
23 why there was no check in several years.

24 MR. HALL: I missed it in the checklist.  
25 I'd like to give you a better answer, but that's the

1 only one I have.

2 MS. HANNAPEL: So you missed it.

3 MR. SHENEMAN: Speaking of sensors, you  
4 can have one in the building that would work to --

5 MR. HALL: I've got preventative measures  
6 that were built into the building itself that we're  
7 going to talk about. You bet.

8 MR. QUINTANILLA: Before you go to  
9 preventative measures, what was the cost of the cleanup?

10 MR. HALL: So far the only cost of the  
11 cleanup is the man hours that were spent draining the  
12 building and taking the water over to get it treated and  
13 the investigation portion and the cleanup of the  
14 building.

15 MR. QUINTANILLA: How many truckloads of  
16 water was taken over to this -- to the plant? 36,000  
17 gallons?

18 MR. HALL: No. We didn't take 36,000  
19 gallons. We took 9,300 gallons.

20 MR. QUINTANILLA: Just the ones inside  
21 the building?

22 MR. HALL: Yes.

23 MR. QUINTANILLA: The 36,900 gallons, or  
24 whatever it was, outside the building, what happened to  
25 that water?

1 MR. HALL: It soaked into the ground.

2 MR. QUINTANILLA: How is that ground  
3 being restored?

4 MR. HALL: I'll talk to that when we get  
5 the --

6 MR. QUINTANILLA: And how much is that  
7 going to cost us?

8 MR. HALL: Nothing.

9 MR. QUINTANILLA: It's not going to cost  
10 nothing?

11 MR. HALL: None. Zero.

12 MR. QUINTANILLA: You mean it's free  
13 labor?

14 MR. HALL: No. I will explain when I get  
15 there.

16 MR. QUINTANILLA: And the other questions  
17 is: How long did the cleanup take? Or how long is it  
18 going to take, since it soaked up into the ground and so  
19 forth?

20 MR. HALL: It's done.

21 MR. QUINTANILLA: It's done already?

22 MR. HALL: Once -- I say that. Once the  
23 report gets to the TCEQ, they will look at the numbers  
24 that I'm going to show you. We have analysis of the  
25 water the day before the spill, and we also have

1 analysis of the water coming into the plant the day  
2 after the spill. TCEQ will review that. And they will  
3 come to me and they'll say that if they look at that and  
4 they determine that soil samples need to be required or  
5 something needs to be done, they will tell me at that  
6 point.

7 MR. QUINTANILLA: And the other question  
8 I have, and I believe it's been previously asked: What  
9 was the cost of the investigation and what was the cost  
10 of the cleanup? It has to cost something. There's some  
11 labor in there.

12 MR. HALL: That's what I said. The time  
13 that we spend as far as man hours and stuff --

14 MR. QUINTANILLA: How many people? How  
15 many man hours?

16 MR. HALL: We had two people working over  
17 there. It took about four hours to pump the water out.  
18 Probably a total of about 10 man hours at this point.

19 MR. QUINTANILLA: And how many truckloads  
20 of the water for transporting and pumping it in the  
21 truck and taking it down to the plant and --

22 MR. HALL: We moved approximately  
23 9300 gallons, and it's an 1100-gallon tank. So about  
24 nine. Just about nine tank fulls.

25 MR. QUINTANILLA: And that took about ten

1 hours to fill those nine tanks?

2 MR. HALL: And clean the facility. These  
3 are people who are already paid to work eight-hour  
4 days. No additional funds were required to have them do  
5 that. It took time.

6 MR. QUINTANILLA: It took time from their  
7 regular duties to do this, so it's over and above what  
8 they normally would do.

9 MR. HALL: Yes.

10 MS. HANNAPEL: Question on that missed  
11 check. What system do you have in place, and how do you  
12 know that there's something else that's not being  
13 checked?

14 MR. HALL: We're going back through and  
15 reevaluating not only the program, but all sensors have  
16 been added to those checklists.

17 MS. HANNAPEL: Will we get a list of  
18 that?

19 MR. HALL: You certainly can.

20 MS. HANNAPEL: I would like to get a list  
21 that.

22 MR. HALL: It will be part of the  
23 checklist that you asked for earlier. That will be  
24 provided. You bet.

25 MR. GARCIA: Now, you -- that 36,500

1 gallons that soaked into the ground, how are you going  
2 to remove -- are you going to remove that soil that got  
3 contaminated by water spilled? How are you going to  
4 deal with that soil?

5 MR. HALL: After the TCEQ evaluation,  
6 they will tell me what needs to be done. At this point,  
7 I don't know the impact, if there is one at all.

8 MR. PEREZ: Are they here? Can they  
9 answer?

10 MR. WEEGAR: Mark Weegar, TCEQ. I  
11 thought I heard you say earlier that the sensor didn't  
12 fail. It was actually an interface between the sensor  
13 and the computer.

14 MR. HALL: Correct.

15 MR. WEEGAR: There's not -- to your  
16 knowledge, there's nothing wrong with the sensor, right?

17 MR. HALL: Yeah. There's nothing wrong  
18 with the sensor.

19 MR. WEEGAR: It's actually the computer  
20 that had the problem, not the sensor itself.

21 MR. HALL: The sensor is still operating  
22 as it should. Right. We reset the computer, and the  
23 computer is reset. We tested four different occasions.  
24 We raised the water up, and the sensor worked. We  
25 raised the water in the other tank, the sensor worked.

1 We raised the check mechanism in sump. It worked.  
2 Everything worked except the computer went down. It  
3 didn't send the message to shut down the field.

4 MR. PEREZ: So really truly, it wasn't  
5 mechanical?

6 MR. HALL: Pardon?

7 MR. PEREZ: The mechanical part was  
8 working?

9 MR. HALL: No. Yeah. the mechanical  
10 portion, the sensors and stuff were working, yes.

11 MR. ROB: So it wasn't the computer?

12 MR. HALL: It was a glitch in the  
13 computer that didn't send the message out.

14 MR. ROB: So you were saying earlier when  
15 you told her it was a mechanical issue and now you're  
16 saying it's a computer issue. Which one is it?

17 MR. HALL: A mechanical system has been  
18 put in to make sure that when the glitch, if the glitch  
19 like occurred this time, the mechanical system is being  
20 put in to make sure that there's a redundant shutoff  
21 valve. But it was always the computer glitch that  
22 simply could not be found.

23 We tried to redo it. We spent three days  
24 trying to go back and make this happen again. But every  
25 time we send the water up for the sensor to look at, the

1 sensor shuts it down just like it's supposed to.

2           Go ahead. All right. Preventative  
3 measures that we have currently. All the tanks have  
4 high-level alarm systems that shut off once the water  
5 reaches a certain level in the tank. We have a sump in  
6 the floor I just mentioned that I had mentioned before  
7 that, when water hits the floor, there's a small  
8 indentation place that's about a foot and a half square  
9 and about eight inches deep. It's got a float in it  
10 like your toilet bowl. When it hits a certain level, it  
11 sends a message to the computer and it shuts the plant  
12 down. The phone alarm system dials the project team.

13           Once this system shuts down, those of you  
14 who have been on the tour before, the alarm system goes  
15 into a dialing system that calls me on this phone. The  
16 government pays for this phone. They make me carry this  
17 phone 365, 66 days a year, 24 hours a day. I never turn  
18 it off. It calls this phone, and it tells me the system  
19 shut down. Okay.

20           This glitch that did not shut the field  
21 down was the same problem that didn't get the message to  
22 the auto dialer to call me. This system has worked many  
23 times. If you don't believe me, ask my wife. She hates  
24 it when it goes off at 2 o'clock in the morning. This  
25 phone, it calls me -- the plant goes down, it calls me



1 on the phone. I get this wonderful computer voice that  
2 says, Plant so and so has a failure. It's down.

3 At that point I log in on the computer.  
4 I see if I can shut it down. If I see that there's a  
5 problem and I can manipulate it, I can keep the plant  
6 running and correct the problem.

7 If I can't then one of two things will  
8 occur. I'll shut the plant down. If it looks like it's  
9 an immediate problem, then I will call the plant manager  
10 and verify that the computer has already called him.  
11 Because once the computer calls me, it calls him too.  
12 He'll get on, and he'll try it. If we cannot between  
13 the two of us shut this down with our laptops, then we  
14 meet at the plant right then.

15 I call him. I say, Let's go. Meet me at  
16 the plant. We do one of two things. We get to the  
17 plant and we shut it down to make sure that this kind of  
18 thing doesn't happen and I don't have to come and  
19 explain this again. Or we fix it. But we do it right  
20 then.

21 The glitch that occurred that caused this  
22 not to shut the field down prevented the auto dialer  
23 from dialing me. And in a minute we'll talk about what  
24 we've done to correct that also. We've tested that. We  
25 test that mechanism regularly to make sure that it calls

1 me. Not that we haven't tested it, because there's  
2 several alarms that goes off that are what we call  
3 nonfunctional alarms that just let me know that  
4 something happens.

5           What's being added. The phone alert  
6 system. Currently or when this occurred, the phone  
7 systems were segregated. Each plant has a dialer. Both  
8 the plant that you visited, this plant, and my Zone 5  
9 plant have a dialer that has the ability to call other  
10 people. It's lined up to call four people. Myself, my  
11 two plant managers, and my project manager from my main  
12 contractor.

13           Once it goes down, it calls. What we've  
14 done is we've programmed it to get away from a simple  
15 phone mechanism. What I -- I guess I'm trying to  
16 explain it, but badly. What we've done is, initially,  
17 they were three separate units. In this case the  
18 Phone 2 in the Zone 4 plant did not call me.

19           The way that it's set up now, if an alarm  
20 goes down and it's shut down, that computer, it will  
21 take and -- that part of the system will, through RF --  
22 we have it connected through RF to the Zone 2 plant --  
23 it will call me. So, in essence, what I've done is made  
24 a redundant system. Instead of if this plant shuts  
25 down, the phone dial up, if that doesn't work, the

1 Zone 2 plant will call me.

2                   So I have two phone -- I'm going to get  
3 two phone calls now instead of one. Any time the plant  
4 goes down, the plant that it occurs will call me and the  
5 Zone 2 plant will call me.

6                   MR. PEREZ: You're referring to a new  
7 modification that you did?

8                   MR. HALL: New programing, yes.

9                   MR. PEREZ: Okay.

10                  MR. SILVAS: Who is writing that program?

11                  MR. HALL: SAIC.

12                  MS. HANNAPEL: Wasn't there data from  
13 other systems like this indicating that perhaps you  
14 should have had this in place already?

15                  MR. HALL: When you say data from other  
16 systems --

17                  MS. HANNAPEL: Well, yeah.

18                  MR. HALL: When we put systems in, we  
19 research the equipment. We don't have the ability to  
20 take data and research and find out, okay, who's bought  
21 these systems. What have you done? What we do is we do  
22 as much research as far as the piece of equipment and  
23 how it works and the liability of it.

24                  And then the engineers that are  
25 installing it that design it, they have a background in

1 what's been working where and what they worked with  
2 before. And that's the only mechanism we have for  
3 saying, okay, we're using this because we -- this  
4 particular engineer has used this in other plants. It's  
5 been successful, they haven't had problems with it, and  
6 that kind of deal.

7                   And that's why, like I say, the system  
8 that we keep talking about worked. It never failed.  
9 The only failure I have was the computer glitch that we  
10 don't know how it happened.

11                   MR. QUINTANILLA: You mentioned the word  
12 reliable.

13                   MR. HALL: Yeah.

14                   MR. QUINTANILLA: Apparently, this wasn't  
15 100 percent reliable.

16                   MR. HALL: There's nothing 100 percent  
17 reliable, sir.

18                   MR. QUINTANILLA: Some of our spaceships  
19 that are going up, that's the goal, is to make them  
20 100 percent reliable.

21                   MR. HALL: The one that blew up? I have  
22 100 percent goal, too. But let's be realistic.

23                   MR. QUINTANILLA: As long as you have  
24 that goal.

25                   MR. HALL: I have to have that goal

1 because you pay me to have that goal.

2 MR. QUINTANILLA: You better believe it.  
3 Not only me, but all of us as tax payers.

4 MR. HALL: That's why I'm here, is to  
5 assure you that I'm doing everything I can to meet that  
6 goal.

7 MR. QUINTANILLA: Which brings up the  
8 next question. How much did it cost to construct that  
9 East Kelly plant that you have where the computer  
10 failed?

11 MR. HALL: Right around a million and a  
12 half.

13 MR. QUINTANILLA: A million and a half  
14 dollars.

15 MR. HALL: That includes the wells and  
16 the field.

17 MR. SILVAS: Going back to your program,  
18 since you have the first one written by SAIC and it's --  
19 you updated it versus being written by the same company,  
20 was there any competitive bid process to put that out?

21 MR. HALL: No.

22 MR. SILVAS: How was that company  
23 selected?

24 MR. HALL: They were my O&M contractors,  
25 and SAIC is known for their IT. They primarily are an

1 IT and computer company. And the program didn't fail.  
2 The computer glitch failed. The program has been  
3 evaluated, and everything was set up properly and the  
4 programing was proper.

5 MR. SILVAS: You just said not to  
6 100 percent. How could you say that's 100 percent if it  
7 failed?

8 MR. HALL: I didn't say it didn't fail.  
9 I said the programming didn't fail. The programing  
10 showed it was right. There was a glitch that occurred.  
11 It occurred because of an electromagnetic glitch in the  
12 computer -- a magnet or a mechanical failure in the  
13 computer.

14 MR. SILVAS: What kind of computer do you  
15 run?

16 MR. SHENEMAN: What brand?

17 MR. HALL: I don't know off the top of my  
18 head what's over there right now. I have three  
19 different plants. I've had three different computers,  
20 as those go out. I know that we have a Dell in one, but  
21 I don't know specifically what's in that plant. I can  
22 get that information for you.

23 MS. LAGRANGE: You work there, and yet  
24 you don't know what you have there?

25 MR. HALL: I have a lot of equipment. It

1 changes routinely because we upgrade routinely. And I  
2 can't off the top of my head tell you every piece of  
3 equipment I have. I've got 15,000 pieces of equipment  
4 out in the field. I can't tell you that.

5 MS. LAGRANGE: Okay. Are you the one  
6 that okays all the purchases of equipment, say even  
7 computers?

8 MR. HALL: They come down and they --  
9 yes, to answer your question.

10 MR. QUINTANILLA: This is my last  
11 question. In the bottom of your charts there and also  
12 in the cover of your presentation, you have Integrity,  
13 Service, and Excellence. Integrity apparently is  
14 something that was not sound in that -- in the system.  
15 So integrity wasn't in the system or something.  
16 Something was wrong. Service, the -- wasn't -- the  
17 service that was being done did not detect the -- a  
18 potential failure. So, therefore, we didn't have  
19 excellence in this -- in this particular case.

20 MR. HALL: Well, we're not soothsayers,  
21 and to try to anticipate a glitch in the computer is as  
22 if you're asking me if we can do that. No, I can't do  
23 it. Nobody can do that.

24 MR. QUINTANILLA: I'm just concerned  
25 about integrity, service, and excellence. If I was

1 going to rate you on our written system, the building  
2 here, on integrity, service, and excellence, it wasn't  
3 up to 100 percent.

4 MR. HALL: Well, I agree. It wasn't up  
5 to 100 percent.

6 MR. QUINTANILLA: As long as you agree  
7 that the system was not to 100 percent. And not up to  
8 your goals here, whatever it is, that integrity,  
9 service, and excellence.

10 MR. HALL: But every effort manually and  
11 physically possible is being made. That's the best that  
12 you can ask.

13 MR. QUINTANILLA: And that's good.

14 MR. HALL: Yes.

15 MR. GARCIA: I hear this story over and  
16 over again about a computer glitch, a computer glitch.  
17 Why aren't they any backup systems to analyze any glitch  
18 that comes out of the system?

19 MR. HALL: I'm not a computer engineer.  
20 I don't know the answer to that question. I don't got  
21 them, sir.

22 MR. GARCIA: Well, they do have them.

23 MR. HALL: They do?

24 MR. GARCIA: Even in my system, they have  
25 a backup system that checks for errors and checks for



1 glitches and checks for overrides. In fourth-year  
2 computer classes, they will tell you that they design  
3 checks and balances for your computer for glitches, for  
4 overrides, for erasers, and for problems with a  
5 computer. And when one computer fails, there's usually  
6 a computer to back up and override and warn somebody  
7 that there's a computer failure going on with one  
8 computer. It's built into the building computer  
9 engineering system. And that's one of things that  
10 should have been considered and not just depend on one  
11 computer all the time that caused -- that you claim  
12 caused this problem.

13 MR. HALL: Okay.

14 MR. SHENEMAN: Do you have a quality  
15 program -- quality assurance, manual, and quality  
16 control manual?

17 MR. HALL: For?

18 MR. SHENEMAN: For this operation.

19 MR. HALL: That's our inspection  
20 checklist, yes.

21 MR. SHENEMAN: Do you have a quality  
22 control manual and its companion is the quality  
23 assurance manual and its companion is the quality  
24 control manual?

25 MR. HALL: That's all part of my

1 operations and maintenance manual.

2 MR. SHENEMAN: And then do you stand  
3 audit from outside?

4 MR. HALL: No, I do not get audited from  
5 the outside.

6 MR. SHENEMAN: That's something you might  
7 want to include sometime, because other people see  
8 things that you don't see.

9 MR. HALL: That's true.

10 MR. SHENEMAN: I've always been very  
11 impressed with what you do. You know, as a matter of  
12 fact, when this came up, I was astounded that something  
13 got spilled. I can't imagine such a thing unless it was  
14 sabotage. Did you look into that?

15 MR. HALL: Well ...

16 MR. SHENEMAN: I can't imagine anything  
17 getting past you. I know you well, and my hats off to  
18 you.

19 MR. HALL: I appreciate that. But the  
20 systems are mechanical. Computers are mechanical.  
21 Stuff breaks, folks. I don't care what you have. It's  
22 going to break down.

23 MR. SILVAS: First of all, I wish you  
24 wouldn't say that so much. It's really starting to  
25 become repetitive that nothing failed. We pay tax

1 dollars, and we don't pay for these systems to fail.

2 MR. HALL: You pay for them to work the  
3 best that they can work.

4 MR. SILVAS: We pay for them to work.

5 MR. HALL: All right.

6 MR. SILVAS: Secondly, the other thing is  
7 are you ISO certified?

8 MR. HALL: Am I ISO certified?

9 MR. SILVAS: Your operation.

10 MR. HALL: No.

11 MR. SILVAS: You might want to look at  
12 that.

13 MR. ROB: I've got a question real  
14 quick. How many plants do you have? And with all of  
15 those plants, how many people do you have actually  
16 working for you that work at these plants?

17 MR. HALL: I have three plants currently,  
18 and I have three people that work plants. And I have  
19 six field technicians that work the field and assist the  
20 plant personnel and maintenance that needs to be done.

21 MR. ROB: And those six helped you with  
22 that spill?

23 MR. HALL: Yes.

24 MR. ROB: And that's where you got your  
25 free work?

1 MR. HALL: Yes. Well, it's not free  
2 work, but it's already in the budget. It's not  
3 additional funding. Like he mentioned, it does take  
4 them away from their regular jobs, but they make it up.

5 MR. ROB: Okay.

6 MS. LAGRANGE: Everything that you buy,  
7 does it go out on bids?

8 MR. HALL: No. There's certain  
9 requirements by the AFRPA that requires us to take and  
10 bid certain items when we need those numbers then we  
11 have to bid it. Until we reach that point, we don't.

12 MS. LAGRANGE: Okay. And your budget,  
13 how much is allotted for salaries and for equipment?

14 MR. HALL: I don't know that number off  
15 the top of my head. I can get that information for  
16 you. Do you want it just for that plant or the total  
17 operation?

18 MS. LAGRANGE: Total operation of the  
19 plants, salary --

20 MR. HALL: You say plant or plants?

21 MS. LAGRANGE: Plants.

22 MR. HALL: All of them? Okay.

23 MS. LAGRANGE: What's divided in salary  
24 and how much do you spend on maintenance and parts.

25 MR. HALL: I can get that information.

1 MS. LAGRANGE: Okay.

2 MR. HALL: Those aren't numbers I keep at  
3 the top of my head.

4 MR. SILVAS: Are you aware that SAIC has  
5 been taken to court regarding padding contracts for the  
6 government?

7 MR. HALL: Yeah.

8 MR. SILVAS: Are you aware that SAIC also  
9 had settled out of court to keep those findings  
10 confidential?

11 MR. HALL: No.

12 MR. SILVAS: SAIC is a Virginia-based  
13 company?

14 MR. HALL: Yes.

15 MR. SILVAS: And they also have an office  
16 here in San Antonio off of Highway 90?

17 MR. HALL: Yeah.

18 MR. SILVAS: How long have you been with  
19 them?

20 MR. HALL: They've been working  
21 operations maintenance since '96 when I first took over  
22 operation maintenance.

23 MS. LANDEZ: For clarification, Bill is  
24 an Air Force Real Property Agency Employee. He's not an  
25 employee of SAIC.

1 MR. HALL: What we know happened. And  
2 this is the questions that were asked previously. At  
3 11 p.m. on the fifth, UV/OX skid shuts down because of  
4 low flow. We already talked about that. The time is  
5 recorded on the computer system that's built into this  
6 UV/OX skid, not the computer system that failed.

7 When we turned the system back on, it  
8 showed us two things. It showed me the flow that was  
9 going through at the time of the spill, and it showed me  
10 when these systems shut down. The recovery system is  
11 not shut down at the computer. We already talked about  
12 that. Groundwater from the recovery wells that were not  
13 shut down continued to arrive at the plant.

14 Okay. 45,900 gallons were released. The  
15 way this was figured was we took eight and a half hours  
16 times the 90 gallons per minute. And those of you that  
17 do math pretty quickly realize that this times this does  
18 not equal that. The reason is because I didn't put down  
19 if this is gallons per minute, this is the hours, you'd  
20 have to multiply this times 60 to get that.

21 That's how it was determined that from  
22 11 o'clock when the UV/OX skid said it was shut down  
23 'til the time we shut it down 7:30, the eight and a half  
24 hour time period, running at 90 gallons a minute, which  
25 is what that recorded at the time of this shutdown,

1 that's the amount of water that we put out that  
2 overflowed into the -- into the building.

3 In the building, do the measurements of  
4 the building, depth of the water, it was determined  
5 9300 gallons remained in the building itself. Simple  
6 subtraction shows you what didn't remain in the building  
7 left. This is the amount, the 36,600. Any questions on  
8 how we got that number?

9 MR. SILVAS: All right. To begin with  
10 how exact is that first figure?

11 MR. HALL: Pardon me?

12 MR. SILVAS: How exact is the first  
13 figure? The 45,000.

14 MR. SHENEMAN: It's either eight and a  
15 half or stronger.

16 MR. PEREZ: Mathematically.

17 MR. HALL: It's based on the flow meter.

18 MR. SILVAS: So you're saying it's an  
19 exact amount?

20 MR. HALL: Yes.

21 MR. SILVAS: Very good. The 9,000  
22 gallons, those 9,000 gallons seeped outside the  
23 building?

24 MR. HALL: No. It was 9,000 that was  
25 still in there in the morning when we got there.

1 MR. SILVAS: But your statement that the  
2 building can contain --

3 MR. HALL: Okay. Yes. It was there.  
4 And it was staying there.

5 MR. SILVAS: 36,600 is what?

6 MR. HALL: Is what left the building.

7 MR. SILVAS: Went in the ground?

8 MR. HALL: Yes.

9 MR. SILVAS: Before we had discussions on  
10 the sampling process, you stated sampling was done after  
11 the water had been released, correct?

12 MR. HALL: Before and after. We had  
13 samples of water going out of the building in the  
14 effluent on the 4th -- morning of the 4th. We took  
15 samples of the influent coming in after the system was  
16 restarted on the 6th. We have both analyses. And  
17 there's not a lot of difference in the two numbers.

18 MR. SHENEMAN: These contaminants, PCE,  
19 what are they?

20 MR. HALL: The four primary concerns are  
21 TCE, PCE, the one on your list.

22 MR. SHENEMAN: How soluble are they in  
23 the first place? Not very, I wouldn't think.

24 MR. HALL: I'm not sure of the answer to  
25 that question. The solubility of the chemicals in the



1 water are?

2 MR. SHENEMAN: Yeah. I don't think  
3 they're very soluble.

4 MR. HALL: The key is the volatility.  
5 You'll hear that term used in a little bit when we talk  
6 about the cleanup of the building, which was a question  
7 of concern and was a good question of concern. We'll  
8 address that. The volatility is a very important part  
9 of that.

10 MR. SILVAS: To begin with, now, you're  
11 saying most of the water, 9,000 gallons, is contained in  
12 the facility, correct?

13 MR. HALL: Yes.

14 MR. SILVAS: Now, just looking at the  
15 photos here, you have hanger doors or garage doors that  
16 open to that facility.

17 MR. HALL: Uh-huh.

18 MR. SILVAS: Are they water-tight sealed?

19 MR. HALL: No. That's why we got 36,000  
20 out the door.

21 MR. SILVAS: So yeah. Correct. But I'm  
22 saying there's 9,000 gallons you're claiming stayed in  
23 the building?

24 MR. HALL: Yes.

25 MR. SILVAS: Right. So you're saying

1 that floor -- is the floor level? Is it concrete?

2 MR. HALL: No. It's recessed down, and  
3 it's --

4 UNIDENTIFIED: It's a bathtub.

5 MR. HALL: Yeah. Thank you. That's the  
6 highly technical word I couldn't think of.

7 All right. Next slide. Here's some  
8 pictures of the actual site when we got there. These  
9 are pictures taken before I got there from the time  
10 Mr. Poole called me. One of the requirements that TCEQ  
11 has, we get pictures as soon as we can as well as all  
12 remaining numbers and stuff we provide to you. What  
13 I've done is I give you pictures of all four sides of  
14 the building showing you -- you know, here's the garage  
15 door you're talking about. It came out.

16 This is, you know the side -- this is the  
17 north side of the building. There's a door right over  
18 there it came out. Next slide. And the other two sides  
19 of the building. Okay. Next slide.

20 All right. These numbers, these are the  
21 numbers that we've been talking about. Four chemicals  
22 of concern that we're treating this water for. Now, the  
23 numbers that you see here are the influent numbers.  
24 These are the numbers of the level of contamination of  
25 the water coming into the plant before it's treated.

1           Okay. The numbers that you see here are  
2 the numbers that TCEQ tells us that the water has to be  
3 treated to in order to be put into six-mile -- into our  
4 outfall that goes to a six-mile radius. You'll notice  
5 that all of these numbers are smaller than these  
6 numbers. Any questions?

7           MR. SILVAS: Why is the water drained in  
8 the creek and not the sewer drains?

9           MR. HALL: Because -- that's one of  
10 questions, if you remember, you asked about that when we  
11 were on our tour. SAWS will not allow that because the  
12 water is too clean to go through their system and it'll  
13 kill their treatment. And that's a fact. I've seen it  
14 happen.

15           MR. SILVAS: What standards are you  
16 cleaning it to?

17           MR. HALL: The standards that are set by  
18 TCEQ.

19           MR. SILVAS: Drinking water standards?

20           MR. HALL: No.

21           MR. SILVAS: What standards?

22           MR. HALL: They're surface water  
23 standards, because that's where we put the water.

24           MS. LAGRANGE: Do you have any outside  
25 security?

1 MR. HALL: The base -- the base has the  
2 Triple J Security that drives around and checks all of  
3 these areas. If there's anything that goes on, to give  
4 you an example, someone ran into my fence on Military  
5 Highway during this weekend. They called me and says,  
6 Hey, they ran into your fence again. It's not open, but  
7 it's dented. I had one car that hit my fence several  
8 months back that opened it up and we had to get out and  
9 do some secure measures and re-secure these areas.

10 But all these areas are fenced in and  
11 locked. And Triple J Security does drive by these  
12 plants and watch them. And they -- trust me. They've  
13 me got my number.

14 MR. SHENEMAN: They didn't catch this?

15 MR. HALL: Uh-uh.

16 MR. SHENEMAN: This happened in their  
17 third shift?

18 MR. HALL: Yes. But I don't have any  
19 idea what their schedule is, and we don't depend on them  
20 to check that kind of thing. They're looking for  
21 security.

22 MR. SILVAS: Do you have any video  
23 surveillance or any kind of surveillance?

24 MR. HALL: Nope.

25 MR. SILVAS: Couldn't you hook up some

1 kind of surveillance to your computer to see actually  
2 what's going on in your site?

3 MR. HALL: I have not had a need for  
4 that.

5 MR. SILVAS: I'm asking if it's possible.

6 MR. HALL: Oh, sure, it's possible. But  
7 as a taxpayer, I would think you'd wonder if I was  
8 wasting your money if I did. Try to look at this both  
9 ways. I have to look at you and tell you, number one,  
10 I'm doing the best I can to treat this water and make my  
11 plant efficient. But at the same time, I have to look  
12 you in the face and tell you I'm not wasting your money.  
13 There's a line there that I have to walk, and I try very  
14 hard to do both. And I don't mean just you. I mean  
15 everybody in this room and everybody that pays taxes.

16 MR. PEREZ: Can you try to put it in the  
17 budget for this coming year?

18 MR. HALL: For what?

19 MR. PEREZ: Try to -- some cameras to --

20 MR. HALL: I don't see a need to do that.

21 MR. PEREZ: Really?

22 MR. HALL: If my plant has gone down, my  
23 plant has gone down.

24 MR. PEREZ: Could you --

25 MR. HALL: Let me finish. I'll tell you

1 where I'm headed.

2 MR. PEREZ: Go ahead.

3 MR. HALL: That I've been called a dozen  
4 times or more when a shutdown of the plant occurs, I've  
5 responded to come out. Since all of -- since all these  
6 mechanisms have been put in.

7 MR. SHENEMAN: How long does it take to  
8 get -- do you live to the plant?

9 MR. HALL: I can have someone at the  
10 plant --

11 MR. SHENEMAN: You.

12 MR. HALL: Well, it takes me 30 minutes.

13 MR. SHENEMAN: From where?

14 MR. HALL: From 281 and 1604. My plant  
15 goes down, I have a technician that's five minutes  
16 away. He lives right down right off of Kelly property.  
17 He's five minutes away. He can get there in five  
18 minutes. And he will do it. I sat and had a  
19 conversation with him this evening. Some of you may  
20 know him. He used to be -- when he was going through  
21 his senior in high school and the first couple of years  
22 of college, he used to sit out there and be a part of  
23 the RAB.

24 MR. PEREZ: If I can finish?

25 MR. HALL: Yeah. Go ahead.

1 MR. PEREZ: I cover part of the terrace  
2 part on the -- and I cover the policing and I cover the  
3 whole area. And I do mostly the air-conditioning fixing  
4 and all that. It's not that hard. It's not that  
5 expensive having cameras and keeping up to what's going  
6 on. It's not that expensive. Y'all should check it  
7 out.

8 MR. HALL: Okay. I'll do that.

9 MR. PEREZ: I check all the rooms. I  
10 carry keys -- four different areas that I carry keys.

11 MR. HALL: I'll look into it. You bet.

12 MR. PEREZ: And I know. I deal -- work  
13 around, and so I keep these cameras. It's really -- it  
14 can be done.

15 MR. HALL: I will look at that. But I'm  
16 not going to sit here and tell you I'm going to do it.  
17 I'll look at it, and evaluate it and I'll see if it's --

18 MR. PEREZ: Try to get it in the budget.

19 MR. HALL: -- worth the taxpayer's money  
20 to do that.

21 MS. PEREZ: I'll leave it to you, sir.

22 MS. GARCIA: Nancy Garcia, alternate for  
23 Dr. Ruben Martinez, UTSA.

24 I think what we need to do is think of a  
25 plan for taking corrective action. That way we have --

1 we can prevent this type of, you know, accidents or  
2 incidents from happening again. So if it has to take  
3 surveillance cameras or if it has to take some other  
4 form of solution, then we need to come up with that  
5 solution. Not only to give us peace of mind for the  
6 community members that live in that surrounding area,  
7 but also for you, since you're the one mainly in charge  
8 of that.

9           So if you can come up with some type of  
10 solution or some type of dialogue to where we can come  
11 to an agreement. Okay. This is a serious issue, and  
12 these are maybe the corrective actions that maybe you  
13 should take or maybe we should start looking into, given  
14 our perspectives, given your perspectives, your  
15 experience. And then also bring in the security people  
16 that do that -- that do the security work and see what  
17 they suggest. I mean, it's not their job basically.  
18 Maybe it's not written in their duties. But from what I  
19 hear, it's rather important for the RAB community  
20 members. I'd say we come into conversation and find --  
21 find a solution without expensing everything on  
22 taxpayers. You know, yes, it's going to come through  
23 there.

24           MR. HALL: Well, the important thing --

25           MS. GARCIA: The solution would come



1 through.

2 MR. HALL: Everybody in this room and I  
3 have the same goal. You know, the cameras,  
4 security-wise, it's good for security. It's not going  
5 to prevent a spill. It'll tell me that I have a spill.

6 MS. GARCIA: Or maybe you can start  
7 looking into the equipment or the type of technology  
8 that you use, and see if maybe we can come up with  
9 something that takes those measures to prevent this type  
10 of spill or what have you. Or maybe even worse  
11 situations, you know. Something far down this year or  
12 next year, something worse can happen. And then we're  
13 going to end up in the same road, in the same path with  
14 no solutions and saying, You know what? You know  
15 mechanical errors. I'm sorry. That's not going to  
16 be -- I don't personally, not for me. That's not going  
17 to be a good enough answer. So that's what I suggest.

18 MR. MILLER: Why don't you explain again  
19 about the secondary system you have installed, the  
20 mechanical system shutdown, the redundant system that  
21 you installed and the mechanical switches to shut it  
22 down. You kind of lost focus a second ago.

23 MR. HALL: The system that we're going to  
24 be putting in as of this afternoon -- they will be  
25 installed we're hoping by Friday -- is a simple

1 mechanical system that works basically on electricity  
2 and nature. If the electricity goes off, the pumps shut  
3 down. If the electricity goes off, it doesn't matter.  
4 The system is not going to work because the whole system  
5 is down. So two things have to work for this new system  
6 to work. Nature, which always works, and simple  
7 electricity.

8           What will happen is we bypassed all the  
9 computer stuff, and we've made a simple wire connection  
10 between the flow and the shutoff valve and the  
11 electrical current that goes to the field. What happens  
12 is when this mechanism reaches a certain level, it shuts  
13 down the electricity that goes to the wells.

14           Now, that's the new system that will be  
15 installed that will be added to the inspection guides  
16 that we will be supplying to you, as you've requested.  
17 And that will be on there. They will be checked on a  
18 weekly basis. So that's how that mechanism is going to  
19 be set up. And that's going to be set up in not just  
20 that plant. We're setting it up in all the plants  
21 because like you said, it was a learning curve for us.  
22 We're going to make it right not only there, but in all  
23 the areas. Did I see a hand over here?

24           MR. QUINTANILLA: Yes. I have just --  
25 I'm concerned there on your statement there.

1 groundwater influent concentrations meet the allowable  
2 discharge requirements.

3 MR. HALL: You should be excited about  
4 that.

5 MR. QUINTANILLA: Yes, I am excited about  
6 that. Why are we doing this if it's already meeting the  
7 TCEQ requirements? Why are we running it through the  
8 system?

9 MR. HALL: I've been waiting on that  
10 question. Who's going to field that question?

11 MR. WEEGAR: Well, the Kelly cleanup --  
12 groundwater cleanup project has limits on where they're  
13 going to send the groundwater contaminants. The purpose  
14 of these systems is to clean up the groundwater. The  
15 groundwater has a much lower cleanup value than what the  
16 surface water discharge standards are.

17 So while they may be sending water out to  
18 the six-mile creek or the other plants, to Leon Creek,  
19 that are below what the surface water standards are, the  
20 influent that these systems, the groundwater recovery  
21 wells and whatnot are capturing still in many cases are  
22 above the drinking water standards.

23 So while they may be below the surface  
24 water quality standards, there's systems to recover and  
25 treat the contaminated groundwater.

1 MR. QUINTANILLA: In other words, you're  
2 being very strict, to make sure that you're doing the  
3 job right.

4 MR. WEEGAR: That's what you pay me to  
5 do, Armando.

6 MR. HALL: That's absolutely right.

7 MR. GARCIA: I want to address your  
8 question about your involvement, your representative  
9 involvement, and everything else. Let me tell you,  
10 there is bad riff between these people. That are not  
11 responsive to us. They do not let us participate in the  
12 base cleanup committee meetings and decisions and let us  
13 know about all the decisions they make.

14 You and other members, including your  
15 teacher, were not properly trained. When I was trained,  
16 I was trained by the previous director. His name was  
17 Patrick McCullough. We spent almost four or five days  
18 getting training. Not four hours. Four or five days.  
19 We got copies of all the zones. There's five zones that  
20 your teacher should have gotten during her training and  
21 all the massive material that were given out to board  
22 members that were here since the beginning.

23 These people have not been trained, and  
24 it's the AFRPA's fault. These people will not cooperate  
25 with you. You can expect that. Why do you think I

1 criticize them all the time? Because we don't get the  
2 material and we're not allowed to participate in cleanup  
3 issues. And there's a lot more besides the secondary  
4 system that a real engineer will tell you.

5           A backup system should be a system floor  
6 drain to the pump so when that seven-inch level is  
7 reached, the pump will kick on, throw all that water in  
8 a pipe, and put it in an underground storage tank. And  
9 when those tanks fill up, then you pump it out and treat  
10 it. That's one of many systems that chemical plants use  
11 for contamination. And there are other systems like  
12 that that a good mechanical engineer can tell you  
13 besides these simple little silly computer glitch  
14 secondary systems.

15           There are a lot of mechanical systems  
16 from mechanical engineers. I've studied a lot of  
17 mechanical engineering in my construction engineering  
18 degree. There's a lot of other alternatives.

19           But as for as you wanting to participate  
20 in base cleanup activities and wanting information,  
21 you're not going to get an answer because these people  
22 are not geared -- they live in their own selfish world.  
23 They are not geared to work with us. That's why I have  
24 to go to Congress and our elected officials to try to  
25 force them to deal with us and work with us.

1           There's a lot of people dying. How many  
2 of your students have grandparents who lived in this  
3 area that are dying from cancer because of all of this?  
4 How many of you have parents that grew up here that are  
5 developing diseases because all of this? We're not  
6 getting our full share of money. We're not getting our  
7 full share of commitment from Antwine and all of these.  
8 They live in their own little world in their locked up  
9 building over there with security and all of that. They  
10 don't come out and say, What do you want us to do? What  
11 do you want us to do?

12           Look at our meetings. They've driven  
13 away so much public. Look, Mr. Garcia, we complied with  
14 what the Air Force says on this, this, this, and this.  
15 But you have to have honor as a professional. When you  
16 guys graduate from college, you guys have honors as a  
17 professional, especially if you become a public  
18 employee, as I am.

19           I work with the State. I have to deal  
20 with people asking me, What are you doing there? What  
21 are you doing there? And I don't blow them off. I have  
22 to explain what we're going to build there. What are we  
23 doing to your freeway. What we're doing here. And  
24 anything they want, they're going to get. The first  
25 thing you do is you learn honor as a professional. And

1 these federal bureaucrats don't know that.

2           So when I die from cancer -- which I  
3 have, and I've been fighting this for a long time -- I  
4 leave it up to you people to remember your grandparents  
5 that are also dying from cancer because of Kelly. How  
6 many worked at Kelly? Look at the obituaries. How many  
7 people that worked at Kelly are now dying that were  
8 lifelong employees of Kelly? People dying in their 60s  
9 and 70s, an early death because of cancer and all of  
10 this. Just check the obituaries every day and you'll  
11 see that.

12           And it's going to be up to the next  
13 generation to say, I'm going fight them. I'm going to  
14 make them come to the table and deal with us. I'm going  
15 to make them face all these health issues. I'm going to  
16 make them face and come up with professional solutions  
17 like this problem, not just a secondary computer glitch  
18 backup, but professional engineering --

19           MS. GARCIA: And I do agree with you on  
20 that, but I think that we have to find the approach -- a  
21 right approach to where we can work with them. Now,  
22 maybe --

23           MR. GARCIA: I have been trying that for  
24 eight years.

25           MS. GARCIA: Maybe I have not been here

1 at the meetings as often as you have. You know,  
2 Dr. Ruben Martinez has always been. Him and I are on  
3 constant communication. But there's a serious dialogue  
4 issue now. I mean, you brought it up. And, you know,  
5 so that's the dialogue issue between --

6 MR. GARCIA: Professional ethics issues.  
7 Community involvement issues.

8 MS. GARCIA: Community involvement. All  
9 those issues that you have mentioned. But we have to --  
10 we have to come up with a solution. All of us have to  
11 come up with a solution.

12 MR. GARCIA: I agree with you  
13 wholeheartedly.

14 MS. GARCIA: Now which this plant spill,  
15 let's -- I think that we have to come to some type of  
16 agreement and find a solution and not try to -- try to  
17 always encounter each other.

18 MR. GARCIA: Can we have community  
19 involvement? We could do that.

20 MS. GARCIA: Well, let's do it and let's  
21 move on.

22 MR. SHENEMAN: Let's talk about that for  
23 a second. I'm on your side. For a year I didn't know  
24 happened here because it was so complex. One night  
25 somebody brought up education. Mr. Quintanilla was



1 there that night. Mr. Quintanilla chimed in. Dr. Smith  
2 said it's hard to sell. Well, you're damn right it is.

3 And here's where you start because we  
4 created a consortium of scholars to start teaching these  
5 kinds of things. And so for those of you who want it,  
6 I've got it right here. The next meeting happens to be  
7 a week from tomorrow night. You don't have to buy  
8 anything. It's a potluck supper. But I went outside.

9 Now I'm ready to go into ZIP Code 78237  
10 even though I'm not going to be accepted. I've already  
11 walked through enough that they won't know who I am, if  
12 I'm CIA, FBI. Well, I'm 1-8, and I'll tell them. And  
13 so then we move on to other resources that we have right  
14 here. So you were asking about plan of action. I think  
15 that's a plan of action. And that goes back -- we've  
16 got to try to get community involvement here.

17 MR. SMITH: Are we done with Bill? Do  
18 you need to talk among yourselves? What would you  
19 like?

20 MR. SHENEMAN: I think we'll beat up on  
21 him some more.

22 MR. SILVAS: As far as community concern,  
23 was there a notification in the community and the  
24 surrounding areas that there was a spill?

25 MR. HALL: No.

1 MR. SILVAS: Why not?

2 MR. HALL: My requirements are to report  
3 to TCEQ, and there's no one working in that area.

4 MR. SILVAS: All right. Secondly, who  
5 was responsible for building that facility?

6 MR. HALL: Who's responsible for what,  
7 sir?

8 MR. SILVAS: Putting the facility up,  
9 constructing it.

10 MR. HALL: Weston constructed it.

11 MR. SILVAS: Okay. Now, the actual pump  
12 itself?

13 MR. HALL: The pump?

14 MR. SILVAS: The mechanical treatment.

15 MR. HALL: The ones that purchased it and  
16 put it in the plant.

17 MR. SILVAS: Okay. The warranty on that  
18 facility, how long does it go?

19 MR. HALL: Normal warranty on most of the  
20 equipment that we use, maximum is a year.

21 MR. SILVAS: How long has this equipment  
22 been used and where?

23 MR. HALL: Since 2000.

24 MR. SILVAS: But at other sites it's  
25 being used?

1 MR. HALL: Yes.

2 MR. SILVAS: And have they encountered  
3 such ...

4 MR. HALL: No.

5 MR. SILVAS: Are you certain?

6 MR. HALL: Yes.

7 MR. SILVAS: How would you know?

8 MR. HALL: Because of our inspections.

9 MR. SILVAS: Excuse me?

10 MR. HALL: Because of the inspections  
11 that we do. The weekly inspections that you asked to  
12 get, because of those inspections, we check the pumps  
13 and those things every week.

14 MR. SILVAS: So those inspections are  
15 done at other sites you have access to?

16 MR. HALL: Yeah.

17 MR. SMITH: I think he's talking about  
18 other than yours.

19 MR. HALL: Oh, I'm sorry. I only have  
20 them for my sites, my three plants.

21 MR. SILVAS: Right. But what I'm asking,  
22 is there other Air Force bases that this cleanup process  
23 was used and this mechanical treatment type?

24 MR. HALL: I have no idea.

25 Are there pump treating systems on other

1 bases? Yes. Do I know that some of them are used in  
2 UV/OX? Yes. Do I know that some of them are used in  
3 GAC? Yes, I know that they're out there. Do I know  
4 what equipment they're using? No. You don't have the  
5 time to pay me to learn all that, and I don't have the  
6 time to do it. You're paying me to keep this area safe  
7 and do that. And I don't know that knowing what they  
8 have is --

9 MR. SILVAS: Well, knowing that they've  
10 had the same problem would help you to approach that,  
11 too.

12 MR. HALL: I've had one problem in that  
13 plant in five years.

14 MR. SILVAS: Now this makes your second  
15 one. This is your first problem ever being in the  
16 site?

17 MR. HALL: In that plant in that site.  
18 Inside the plant.

19 MR. QUINTANILLA: Which makes this  
20 question: How much longer are you going to operate  
21 these plants?

22 MR. HALL: I don't have the answer to  
23 that. When we get the cleanup to where the State --  
24 we've met the State's requirements, the requirements  
25 that you've discussed many times as far as MCL and stuff

1 like that. When they tell us they go down, they go  
2 down. I don't have the answer to that question.

3 MR. QUINTANILLA: The point is I'm trying  
4 to make is get out of the box. You know, we're just  
5 here in our little house. We don't want to find out  
6 more.

7 MR. SHENEMAN: Contaminate the property,  
8 it's our business and we're out of business and he's out  
9 of business.

10 MR. QUINTANILLA: I don't have any more  
11 questions on this.

12 MR. SMITH: Can we let Bill off stage for  
13 a little bit.

14 MR. QUINTANILLA: But I do want to  
15 continue what this student was saying concerning this  
16 community involvement. Something needs to be done in  
17 order that, instead of there being confrontations, there  
18 are something else. I'm being blamed as a cause of  
19 influencing all of this. I'm not trying to do that.  
20 All I want is excellence in government. I want to do a  
21 good job in it. And it hasn't been done, and I have to  
22 agree with that.

23 I'm just looking at the TAPP funding  
24 summary. We had a \$100,000. We got an expended 97,000  
25 plus. We've got \$2,175 left. As to what we can do, I

1 think if we can have some training from this \$2,175, not  
2 only for the people that are here, the community, but  
3 also for the staff as to how -- what it takes to bring  
4 about what she was talking about a minute ago.

5           It's -- it should not be only  
6 communications down. It's got to be communications up  
7 and communications across if we were ever going to get a  
8 law. But it's not just communications down. Here it  
9 is. Shove it down your throat. Take it or leave it.  
10 You know, stamp it or we're going to not work with it.  
11 That's not what we want. We want to communicate upward  
12 just like y'all want to communicate downward, just like  
13 Kelly does. And we also want communications across.  
14 Isn't that what we're looking for, Ms. Hannapel?

15           MS. HANNAPEL: Absolutely,

16           MR. QUINTANILLA: And I think that we can  
17 get it with this \$2,175, if you would look into it,  
18 please.

19           Also there's a question of training.  
20 Sometimes we get out of hand because of parliamentary  
21 procedures. We haven't trained the parliamentary. I  
22 think you could take some of these funds to train the  
23 parliamentary. It's only one or two hundred dollars.  
24 Why can't that be done? Why can't that be looked into?  
25 That's all I have.

1 MR. SMITH: Okay. Next item on the  
2 agenda is Class 3 Modification Update, Compliance Plan  
3 for Zones 4 and 5. Ms. Landez?

4 MR. QUINTANILLA: In fact, I would like  
5 that to be made an agenda item in the next meeting for  
6 RAB in November. January. I'm sorry.

7 MS. LANDEZ: I'm just going -- I did the  
8 same briefing last month at the RAB meeting. For those  
9 of you who weren't there, I'd like to just go ahead and  
10 repeat because it will be important information coming  
11 up or that you'll need in the future. We submitted a  
12 Class 3 modification to the compliance plan for the  
13 Zones 4 and 5 corrective measures implementation work  
14 plan.

15 Basically, in April we received approval  
16 of Zones 4 and 5 corrective measure study where the  
17 corrective measures that were chosen for each of the  
18 areas in Zones 4 and 5 that needed corrective action  
19 were approved by the State. And as required by the  
20 compliance plan, we had to submit a corrective measure  
21 implementation work plan with Class 3 modification of --  
22 within 180 days of that approval. And we did that on  
23 October 7th of 2005. And that's required in Section 8-F  
24 of the compliance plan, if you'd like to go and check  
25 that out.

1                   And it's also required -- the Class 2  
2 modification is basically what we're doing is adding the  
3 corrective action program to that compliance plan. And  
4 that's under the 30 -- Texas Administrative Code, the  
5 305.69-K. And Appendix 1 says it requires a Class 3  
6 modification.

7                   These are the systems that we have  
8 received approval for. In the Zone 4 CMS, Corrective  
9 Measure Study. And as noted, all of the systems have  
10 been installed to date. And the costs are included in  
11 your packet. We included the slide that has the cost  
12 for each one of the systems in the packet. And then  
13 these are the systems that have been approved for  
14 Zone 5. And again, the cost for those systems that have  
15 all been installed to date are included in your packet.

16                   Also just to let you know, one of the  
17 other things we do identify in the Class 3 modification  
18 includes the monitoring systems that we'll be using to  
19 monitor each one of the systems that has been  
20 installed. What happens in the regulatory process for  
21 the Class 3 mod, once it's submitted, it goes to  
22 administrative review. That's where we are right now.  
23 We received a letter from the administrative section  
24 asking for additional information. We're in the process  
25 of doing that and to submit it by I think right before



1 Thanksgiving.

2                   And once it's complete, we will also be  
3 receiving a letter from the State asking us to publish  
4 what is called the notice of receipt of application and  
5 intent to obtain a permit. And that will be a notice  
6 that was placed in the newspaper. And we also have to  
7 have a public meeting within 30 days of the application  
8 being declared administratively complete, and we will  
9 include that public meeting in the notice that we have  
10 to put in the paper.

11                   MR. SILVAS: What date is that?

12                   MS. LANDEZ: We don't know yet. Not  
13 until the admin complete review is done and she starts  
14 working on the wording. It will probably be in  
15 December. We're going to try not to get it in the  
16 holidays, but we may not have a lot of choice. But  
17 we're hoping that first week of December, if not maybe a  
18 few days later. But we're trying to keep it out of the  
19 holidays because I know that makes it difficult for  
20 people that are going on vacations with their families  
21 and want to enjoy, you know, Christmas shopping and not  
22 coming to a public meeting.

23                   Also there's a notice that is mailed out  
24 by the chief clerk's office to the folks that are listed  
25 in the mailing list that we're required to submit to

1 state.

2                   Okay. After the preliminary decision and  
3 the draft permit is filed with chief clerk's office,  
4 then a technical review is done by the TCEQ. Then TCEQ  
5 often requests us to do a second notice, and it's called  
6 the notice of application and preliminary decision.  
7 Basically, the State will say, this is what we decided  
8 for this permit and also provides a copy of the draft  
9 permit and all -- everything that's going to be in it so  
10 that you can review it yourselves. And we also put  
11 those in the library.

12                   And also the notice will instruct you how  
13 to submit comments, when to submit comments, what the  
14 preliminary decision is, and you can also request a  
15 hearing. And it also will indicate in the second notice  
16 when the end of public comment period is. Usually it's  
17 45 days after that second notice is published.

18                   And that's it. As soon as we know what  
19 that public meeting date is, we will let you know in the  
20 newspaper and probably include a mailer out to the RAB  
21 members.

22                   MR. QUINTANILLA: You recently had a  
23 Class 2 modification. You made a notice and all of  
24 that.

25                   MS. LANDEZ: Yes.

1 MR. QUINTANILLA: Now we're having a  
2 Class 3 modification. What's the difference between the  
3 Class 2 and the Class 3?

4 MS. LANDEZ: The Class 2 is not -- you  
5 know, allows for public comment, but it does not allow  
6 for -- and I may be wrong. I'm sorry. It does not  
7 allow for a request for public hearing. Mark?

8 MR. WEEGAR: There are three different  
9 types of modifications. There's a Class 1, Class 2, and  
10 Class 3. Basically, the level depends upon what type of  
11 modification that are requested. Class 1 is typically  
12 just an administrative change -- change the name, change  
13 the facility description. Things like that.

14 The Class 2 is usually again a fairly  
15 minimal modification. But in the case of the Class 2  
16 that was recently done, anytime a change is being  
17 proposed in a corrective action system, like wells are  
18 being removed from the system or something like that,  
19 federal regulations stipulate that is a Class 2.

20 Class 3 is considered to be a major  
21 modification or amendment to the permit. We require  
22 that whenever a regulated entity like Kelly or Exxon or  
23 whoever is coming before the commission and asking for  
24 approval of the final remedial action, that it be done  
25 as a Class 3. That allows for a contested case hearing,

1 request for hearing, and all that kind of stuff in the  
2 process.

3 So basically, it's just -- the  
4 differences are what is actually being requested as far  
5 as the modification, whether it's administrative change  
6 or in the case of this particular case, the request for  
7 the commission to authorize the final cleanup plan.

8 MS. LANDEZ: Any other questions?

9 MR. MILLER: Can we get corrected  
10 copies. These are missing a page. That's what people  
11 are kind of fumbling around looking for.

12 MR. PEREZ: Yeah, I just told Armando.  
13 This has got like one and two is missing. And it's got  
14 three and then it goes down the line. It was stapled in  
15 a sense that I saw something confusing. And I looked at  
16 it and then noticed.

17 MS. LANDEZ: Okay. We'll do that in the  
18 packets that go back out.

19 MS. LAGRANGE: I would like to make a  
20 request that yourself or somebody review this before you  
21 put it out because it is not acceptable, and I consider  
22 it poor quality, even all the printing. If that was my  
23 employee, she would no longer be my employee.

24 MR. QUINTANILLA: Three things to  
25 remember, Ms. Landez. This integrity, service, and

1 excellence, this is what we're looking for because  
2 that's where our tax dollars are going, into the work  
3 that is being put into it.

4 MR. WEEGAR: One thing I wanted to add to  
5 the presentation. On the -- for comments that are  
6 submitted to the agency, the only thing that we will be  
7 providing a response to are questions that relate or  
8 comments that relate to the actual application and, in  
9 this case, the CMI work plan submitted. We don't -- we  
10 don't respond to things like, you know, Kelly was a bad  
11 neighbor. Or, you know, we want -- we feel like we need  
12 compensation for, you know, property values or something  
13 like that.

14 The only thing -- the comments that you  
15 submit on any modification has to be directed to that  
16 particular application that is under review. Otherwise  
17 the agency -- we'll typically just say thank you for  
18 your comment, but that comment is not part of the  
19 application that's being reviewed by TCEQ. So just keep  
20 that in mind. If anyone is wanting to submit comments  
21 on this, they have to be specific to that application  
22 that is under review.

23 MR. SMITH: Thank you. Mr. Silvas, I  
24 think you were next.

25 MR. SILVAS: Go ahead.

1 MR. SMITH: Mr. Garcia, go ahead.

2 MR. GARCIA: Ms. LaGrange, you mentioned  
3 the poor quality of this work. Let me tell you, this  
4 has been in five zones. Zones 1 through 5. For the  
5 longest time, I have been telling these people that  
6 every time we get a new board member, every time we get  
7 a new alternate, that they receive revised and  
8 up-to-date copies of the cleanup plans for Zones 1  
9 through 5. And they can't even comply with that simple  
10 request.

11 I want every one to have copies of that,  
12 whether you're a RAB member or alternate. Revised and  
13 updated copies of Zones 1 through 5 so you can see what  
14 those plans say. They can't even do that. So why are  
15 you expecting quality out of little presentation like  
16 that when they can't even do simple demands like giving  
17 material of information about the base cleanup committee  
18 and giving us copies of Zones 1 through 5.

19 MS. LAGRANGE: And I know I don't have  
20 that information.

21 MR. GARCIA: I know you don't have the  
22 information. There's a lot of RAB members that should  
23 have it but don't.

24 MR. SILVAS: Could you explain why again  
25 the State oversees that a site was qualified for a

1 super-fund on the EPA super-fund list?

2 MS. LANDEZ: It was not a -- Kelly Air  
3 Force Base has never been an NPL site.

4 MR. SILVAS: It was qualified. It scored  
5 high enough to qualify. Why is it --

6 MS. LANDEZ: My understanding is the EPA  
7 never put it on the super-fund list, and we have a  
8 corrective action permit from TCEQ that's requiring us  
9 to be clean. That's what we're doing.

10 MR. WEEGAR: Let me try to explain that.  
11 EPA scored Kelly and numerous other military  
12 installations, but many of them were not -- even if they  
13 scored high enough to be on the NPL, they're not placed  
14 on the NPL because the EPA has a policy of deferring  
15 listing federal facilities on the National Priority  
16 List, NPL, super-fund if there's corrective action going  
17 on under some other federal or state regulatory cleanup  
18 program.

19 The NPL was established primarily to  
20 address the cleanup of contaminated orphan sites. Sites  
21 where there's either nobody around anymore who can pay  
22 for the cleanup or a site where the polluters are not  
23 willing or not able to pay for the cleanup. That  
24 cleanup -- the cleanup of those sites come from federal  
25 moneys.

1           The Kelly cleanup is being done through  
2 federal fund. I mean, as long as the cleanup -- I mean,  
3 a cleanup under the State's regular program or cleanup  
4 under the National Priority List super-fund process will  
5 typically achieve the same goal, which is protection of  
6 human health and environment -- cleaning up the  
7 groundwater to drinking water standards, cleaning up the  
8 soil as well to protect human health and the  
9 environment.

10           So whether it was the NPL or whether it's  
11 being done under the State's corrective action program,  
12 the end result -- the cleanup result from that is  
13 analogous.

14           MR. QUINTANILLA: I would like to request  
15 for the January meeting that we -- the EPA comes in  
16 every month, you know. It comes in to our RAB  
17 meetings. That they come in and explain to us why they  
18 didn't put it into -- into Kelly super-fund site. I  
19 would like to see a presentation on that.

20           MR. MILLER: We have given that  
21 presentation.

22           MR. QUINTANILLA: I never have seen it.  
23 I never have heard the scores. What were the scores?

24           MR. MILLER: I don't know the scores.

25           MR. QUINTANILLA: Neither do I.



1 MR. MILLER: But the presentation has  
2 been provided to the RAB. I can provide you the  
3 letters. I think they provided that response. I'll  
4 look and see if it's still --

5 MR. QUINTANILLA: I would like a  
6 presentation.

7 MR. MILLER: I'll see if we can do it. I  
8 can't do it. It would have to come from our super-fund  
9 people to give you that presentation. They're the ones  
10 who made it. I don't work for super-fund. I work for  
11 the AFRPA side of the house.

12 MR. QUINTANILLA: That's what I'm  
13 asking. Go to the right person that can do it for us.  
14 It shouldn't be no, no, no all the time. It's a  
15 legitimate question. We would like to know. We've been  
16 at this business since 1992 -- or '82, and we still  
17 don't know why EPA did not -- you know, although they  
18 rated Kelly as an NPL site, they never did make it a  
19 surplus site. Why?

20 MR. SMITH: Mr. Silvas?

21 MR. SILVAS: No. I'm through.

22 MS. HANNAPEL: I just want to make a  
23 comment. We all talked -- some of us talked about what  
24 we can do. One of the things that I think we can do,  
25 all of us, RAB members, community members, is advertise

1 what goes on in these meetings. These are closed  
2 meetings. Does anybody know about the spill? Does  
3 anybody outside this group know about the spill? Was it  
4 in the newspaper? Was it sent out to these people in  
5 the community that it affected? Who else knows?

6 And as long as nobody else knows what  
7 goes on in these proceedings, we're not going to get any  
8 place. We need to notify our congress people. We need  
9 to notify chambers of commerce. Even though they're not  
10 in the affected community, they really are the community  
11 because they're paying the bill.

12 So until we start doing that, I don't  
13 think we're going to get any place. This is not the  
14 place for change. Mr. Weegar, I thank you for telling  
15 me that. Mr. Weegar is the one who said that. And it's  
16 not.

17 MR. WEEGAR: When did I say that?

18 MS. HANNAPEL: In a RAB meeting. And I  
19 thanked you at the time.

20 MR. SMITH: Let me see if I can bring us  
21 back to the agenda and work our way through that.

22 MS. CODERRE: In your packets this  
23 evening, just a little bit over half way through is a  
24 TAPP funding summary. And what we did to prepare this  
25 summary is bring you up to date. And so we've included

1 information on the year of the award going back to the  
2 first TAPP contract and what fiscal year that fell under  
3 as well as the date of the award and also the date the  
4 presentation was made to the RAB.

5           It includes information about what  
6 company was hired, and how much the TAPP contract was  
7 worth. And if you'll notice on there, the original  
8 amount for the 2005 semiannual compliance plan report  
9 review -- that's a mouthful -- was over 7,000. And we  
10 discussed it the last meeting, that we were going to go  
11 back to the contractor and ask for a best and final  
12 offer, the Air Force way of making sure we get the best  
13 product for the least amount of money. And he did  
14 revise his slightly to \$6,625. That contract has been  
15 awarded.

16           So we will be talking with that  
17 contractor in the next week, making sure that he has the  
18 materials that he needs, and setting up the schedule for  
19 him to make the initial presentation. Historically, the  
20 way this has worked is the initial presentation is given  
21 to the TRS, this meeting that we have here this  
22 evening. And then the final presentation, he'll take  
23 questions and also some concerns, things that y'all key  
24 in on. And then he'll revise, if necessary, his  
25 presentation and make that final presentation to the

1 RAB.

2                   It's important to remember that when your  
3 contractor makes their final presentation to the RAB,  
4 you guys have to okay that they have met the terms of  
5 what you asked for. Did they present it in terms that  
6 you understand? Did they cover the material that you  
7 asked for them to cover? Was it the 2005 semiannual  
8 compliance plan report? Did they explain it to you in a  
9 way that you understood it, and did they answer your  
10 questions? So those are the things that you're going to  
11 be looking for when that contractor comes in to make  
12 those two presentations.

13                   Okay. So that's the update we have. And  
14 that's it. Are there any questions?

15                   MR. QUINTANILLA: It shows that we still  
16 have a balance there of how much?

17                   MS. CODERRE: \$2,175.

18                   MR. QUINTANILLA: Can that be used for  
19 training of the RAB and the staff on communicating?

20                   MS. CODERRE: When you say training of  
21 the RAB and the staff, I need to understand what you're  
22 asking for.

23                   MR. QUINTANILLA: Communications.  
24 Training them in communications and perhaps training  
25 Ms. LaGrange on parliamentary procedures. Can we ask

1 that to the con -- not to the contractor, but to the  
2 contracting office?

3 MS. CODERRE: I'm just grabbing a  
4 reference binder real quick. Each member of this Kelly  
5 RAB was provided a binder. Not like this. I think we  
6 gave it to you spiral bound. In here is a section that  
7 was tabbed out called TAPP. TAPP stands for Technical  
8 Assistance For Public Participation. And what's behind  
9 that is the final rule that was published regarding how  
10 this funding can get spent. This funding is not  
11 permitted to take one member of a RAB and provide them  
12 specialized training.

13 MR. QUINTANILLA: Does it say that in  
14 there? Because I cannot find it in there, what you just  
15 said. It does not say it in there.

16 MS. CODERRE: It does say it in there.

17 MR. QUINTANILLA: That you cannot take  
18 one member and train that member?

19 MS. CODERRE: I'll be happy to provide  
20 that in our after-action item report. What I don't want  
21 to do is take time now as I skim through this to find  
22 chapter and verse of that specific. What I would  
23 encourage you to do is take a few minutes to go through  
24 this. And let me explain briefly how it's laid out.

25 This is a final rule. Anytime the

1 federal government makes a rule, first we have to say we  
2 would like to make a rule. And we put that out as a  
3 proposed rule. And we explain what we want to do with  
4 the rule. Then we kind of do a section summarizing the  
5 rule. Then we analyze the rule. And then we actually  
6 give you the rule. So it's repeated basically four  
7 times. This now -- and it's open for public comment.

8           Okay. So then they get all those  
9 comments in, and then they propose -- they publish a  
10 final rule. And in this final rule they say, hey, here  
11 are all the comments that we received and here's our  
12 response. We might have changed this about the rule  
13 based on this comment. These comments didn't  
14 necessarily apply. However, that is now explained in  
15 the final rule.

16           And so this document is not as thick as  
17 it seems when you go through it. But if you read the  
18 beginning sections, it gives you a little bit of the  
19 history behind and what the reason was for setting the  
20 rule up the way it was set up. And so back here --

21           MR. QUINTANILLA: It was set up by  
22 Congress.

23           MS. CODERRE: -- it talks about -- when  
24 you see the Section Title 32 of the Code of Federal  
25 Regulation, Chapter I, Subchapter M, and then it goes

1 in, that's where the rule actually begins. And in here  
2 is where it lays out what we can spend the money on and  
3 what we can't. And there are specific rules about what  
4 we can and can't spend the money on.

5 So if you'll familiarize yourself with  
6 that document that we've provided you, that might help  
7 you to be able to come to us with a request for what you  
8 would like to review and be able to give us your  
9 reasoning based on this document which tells us how we  
10 can spend that money.

11 Mr. Quintanilla, I think I answered your  
12 question. Was there --

13 MR. QUINTANILLA: No, you didn't. My  
14 question was: Where does it say that you cannot provide  
15 training to an individual, to one individual or to a  
16 group of people, like we have here, on communications?  
17 On communicating with each other?

18 MS. CODERRE: Remember, TAPP itself is  
19 called Technical Assistance For Public Participation.  
20 This -- this funding source -- this funding process was  
21 set up so that lay people could have the resources  
22 necessary to explain highly technical documents involved  
23 in the environmental cleanup process at BRAC bases. It  
24 was not intended to supply continuing education in  
25 communications.

1 MR. QUINTANILLA: Let me read to you what  
2 I'm reading.

3 MS. CODERRE: Okay.

4 MR. QUINTANILLA: TAPP objectives are  
5 that the technical assistance funds will, one,  
6 contribute to the efficiency, effectiveness, or  
7 timeliness of the restoration activated; and, two,  
8 contribute to the community awareness and acceptance of  
9 the restoration activities.

10 And that's what I'm trying to get at.  
11 And you argue against us. We want you to argue with us  
12 and for us. And you're not doing it.

13 MR. GARCIA: They're on the Air Force  
14 side, not ours. I told you that.

15 MR. WEEGAR: What I would suggest maybe  
16 is -- I don't know what the process is, but if you could  
17 at least, Sonja, make that inquiry to whoever the  
18 people -- the contracting officer and ask how this  
19 process runs. But it just seems to me rather than you  
20 and Mr. Quintanilla having a debate over what the intent  
21 of the RAB rule is, is to bring that request from the  
22 RAB to the contracting officers and let them provide a  
23 response.

24 MR. QUINTANILLA: Or better yet, bring  
25 the contracting officer here and let him explain it to



1 us.

2 MS. CODERRE: Are there any other  
3 question? Mr. Silvas?

4 MR. SILVAS: Well, it's a comment  
5 regarding the latest information regarding Wilma Subra,  
6 that we have acquired her to give a presentation.

7 MR. SHENEMAN: We have? When?

8 MS. CODERRE: We're looking at the  
9 January 10th RAB meeting for that presentation. That  
10 meeting is filling up. And we talked about that. Part  
11 of what we need to make sure that we iron out, were you  
12 going to speak with Ms. Subra about being available for  
13 the January 10th meeting?

14 MR. SILVAS: Yes.

15 MS. CODERRE: Okay. And so right now --  
16 I was going to say what's on tap for that agenda. It's  
17 a horrible pun, and I don't mean it that way. Right now  
18 the draft agenda for January 10th is the election of the  
19 new RAB community co-chair, the briefing on the  
20 community relations plan, the -- if the timing works  
21 out, the TAPP presentation, the final one to the RAB.  
22 But we're negotiating that in the coming days with the  
23 contractor. And Wilma Subra's presentation that's been  
24 requested on behalf of the community or by the  
25 community.

1 MR. WEEGAR: What is Ms. Subra going to  
2 be making her presentation on?

3 MR. SILVAS: The CMS corrective study  
4 reports, January 2005.

5 MR. WEEGAR: The semiannual compliance  
6 plan report?

7 MR. SILVAS: Yes, sir.

8 MR. WEEGAR: So the RAB is going to be  
9 spending what little TAPP --

10 MR. SILVAS: We don't have any money it's  
11 a free --.

12 MR. WEEGAR: No. That's not -- my  
13 question is you're going to be spending \$6,600 of the  
14 roughly 8 or \$9,000 TAPP money left to have Clearwater  
15 Revival review the semiannual compliance plan report and  
16 have Ms. Subra do the same thing?

17 MR. SILVAS: Do you have a problem with  
18 that?

19 MR. WEEGAR: I'm just asking.

20 MR. SILVAS: We're getting the biggest  
21 bang for our buck. And a presentation by Wilma Subra,  
22 that's what we agreed on. Secondly, Patrick Lynch has  
23 done an outstanding job, more than these other  
24 contractors. And if you think that we're doing this  
25 just to get a repeat of the same information, we're

1 trying to catch information that has gone by your  
2 agency's wayside and this agency's wayside. You should  
3 be there along with everybody else to catch that. Maybe  
4 you'll learn something.

5 MR. WEEGAR: Thank you, Robert.

6 MR. SILVAS: I'd like to have it returned  
7 too, please.

8 MS. CODERRE: Absolutely, Mr. Silvas.  
9 The packet of information you just gave us, we'll make  
10 sure we get it back to you. And I remember you've been  
11 given this. We were still looking to get those  
12 documents. My understanding was those came from the  
13 Zones 2-3 CMS. Did I misunderstand that, because I  
14 thought that was what Ms. Subra was going to talk about?

15 MR. SMITH: Yeah. Let me double-check.  
16 I'll get back to you tomorrow.

17 MS. CODERRE: Okay. So there might be a  
18 bit of discrepancy.

19 MR. WEEGAR: I was not trying to say  
20 don't do this. I'm just saying, if you're getting  
21 somebody who is going to be providing a technical review  
22 of a document gratis and we have -- the RAB has limited  
23 TAPP funding, I'm just concerned that we're spending  
24 TAPP money for a review by one contractor, and we've got  
25 another contractor that's going to be doing it free of

1 charge, is that the best way the RAB can spend their  
2 limited TAPP dollars? That's all I was saying.

3 MR. SILVAS: Well, excuse me. Just to  
4 make one last comment, when you have your BCT meetings  
5 and we're not included to make those decisions along  
6 with you, we make these decision on our community  
7 standpoint.

8 MR. WEEGAR: That's fine.

9 MS. CODERRE: Mr. Silvas, I'm sorry. I  
10 really think Mr. Weegar is looking out for the best  
11 interests of the community --

12 MR. SILVAS: I'm sure you do. I know you  
13 believe that, too.

14 MS. CODERRE: -- and was not raising this  
15 issue as a way to cause an argument. His question was,  
16 if Ms. Subra is going to review the semiannual  
17 compliance plan report for free, then would the RAB  
18 rather consider having the contractor that they're  
19 paying look at another document? If I am not  
20 misunderstanding you.

21 MR. WEEGAR: Yeah. We've got roughly  
22 \$9,000 left. I'm just saying, if we're getting a review  
23 for free, doesn't it make sense? That's all I'm saying.

24 MS. CODERRE: And I hardly feel that he  
25 was trying to cause an argument here.

1 MR. QUINTANILLA: I see nothing wrong  
2 with this at all. We've got two different sources of  
3 technical information being provided for us, one from  
4 the community for free and one for \$6,000, and I think  
5 we will present this to you Mr. Weegar whatever the  
6 findings are --

7 MR. WEEGAR: Weegar

8 MR. QUINTANILLA: I'm sorry?

9 MR. WEEGAR: Weegar.

10 MR. QUINTANILLA: Weegar.

11 MR. WEEGAR: Thank you.

12 MR. QUINTANILLA: We will provide this  
13 information to you, sir, as result of these two people.  
14 And you can comment on it, and we will comment also on  
15 it and send you a copy to make sure Kelly does whatever  
16 is overlooked.

17 MS. CODERRE: Thank you for allowing me  
18 to possibly clarify that question. Mr. Garcia?

19 MR. GARCIA: Let me further clarify this  
20 issue. We chose Patrick Lynch and Clearwater Revival.  
21 He has done work for us in the past, and we're satisfied  
22 with it. For the past seven, eight, nine, times that  
23 that semiannual compliance plan has been done by  
24 CH2M Hill, we're paying hundreds and hundreds of  
25 thousands of dollars for them do that work. And I have

1 to be telling these people at AFRPA to write all the  
2 requirements for that report. And because I write all  
3 the requirements for my construction reports, the AFRPA  
4 should be writing all the requirements for CH2M Hill.

5 We're not wasting our money. AFRPA is  
6 wasting two or three hundred thousand dollars every six  
7 months for a report that doesn't relate to the community  
8 or explain to the community what's being done. And  
9 people are complaining over 6,625. We even have the  
10 poor man reduce it while we're paying two, three, four,  
11 five hundred thousand dollars to CH2M Hill to do a  
12 report that they can't even come and make a decent  
13 presentation or present it to us in laymen's terms so  
14 people can understand.

15 And they're complaining about 6,625 from  
16 a real professional? It doesn't work that way. This is  
17 another issue going to come up in the congressional  
18 hearing. What's the deal with CH2M Hill and AFRPA, that  
19 they're allowed to do the report and it's not done in  
20 laymen's terms? They don't meet these requirements that  
21 the RAB presents for that, and the AFRPA does not write  
22 requirements for them to present their report to us.  
23 They don't even want to come to our meetings anymore  
24 because we ask too many questions and we tell them we  
25 don't understand it.

1           What's the sweetheart deal with CH2M Hill  
2 and AFRPA that they're not allowed -- they got to go  
3 scot-free without making presentations to RAB and to the  
4 community. And then everybody is trying to spend \$6225  
5 to have Patrick Lynch do it, but CH2M Hill gets away  
6 with half a million dollars every six months to do a  
7 report that we can't understand. What's the deal here?  
8 That's why we have this.

9           And this is going to come up in the  
10 congressional hearing, about what's going on between  
11 CH2M Hill and the AFRPA, that they can't even make a  
12 report presentable to the community and the RAB members,  
13 that they can understand all the scientific jargon they  
14 throw at us. They don't even come make the presentation  
15 to us anymore.

16           MR. SMITH: Excuse me, guys. Hold on  
17 just a minute. Kyle's next. And we'll get this thing  
18 four times, and I wonder how much light we're adding to  
19 the topic.

20           MS. CUNNINGHAM: I'm just confused as to  
21 which report Subra is going to brief us.

22           MR. SILVAS: That was the last January  
23 disk that was released

24           MR. SMITH: But you're going to check  
25 that?

1 MR. SILVAS: I'm going to double-check on  
2 it.

3 MR. SMITH: When's the next disk coming  
4 out for the plan? In January?

5 MS. CODERRE: The report is called  
6 January. I think it's not available 'til February.

7 MR. SILVAS: And that's on the way?

8 MS. CODERRE: Is it January? Okay.

9 MR. SILVAS: What zones?

10 MS. CODERRE: The semiannual compliance  
11 plan report is the whole thing. The whole shebang.

12 MR. WEEGAR: I want to try to -- I think  
13 this has been briefed on numerous occasions; but,  
14 Rodrigo, the requirements that are addressed by the  
15 semiannual groundwater compliance plan were established  
16 by TCEQ. It is in the Kelly groundwater compliance plan  
17 report. That document is written to address a report to  
18 TCEQ. It's not a report that is written to the  
19 community. It is a report on specific items laid out in  
20 their permit. It's a semiannual report to TCEQ  
21 addressing specific requirements in TCEQ's permits that  
22 was issued to Kelly Air Force Base.

23 That is what that document is designed to  
24 do. That and that alone. It is a very good snapshot  
25 overall summary of what is going on base-wide and



1 offsite as far as the Kelly restoration program and  
2 things of that nature. But that document is -- is  
3 designed to be addressed to TCEQ and addressed our  
4 specific requirements in the compliance packet. That is  
5 all that document is designed to do.

6           And I'm sorry if that has not been -- if  
7 the presentations in the past have not made that clear,  
8 but that is what that document that comes out in July  
9 and January of every year is addressed to. Nothing else  
10 but the reporting requirements we the TCEQ have placed  
11 on the Air Force to report back to us.

12           MS. HANNAPEL: Just one comment on these  
13 reports. Now that we have them on disk for about the  
14 last year. \$350,000 for a copy and paste job, which  
15 basically they're all almost exactly the same, with a  
16 little bits of information thrown in here and there, I  
17 think that should be examined. I mean, if they're not  
18 doing it as a copy and paste job, they're wasting a lot  
19 of time. It's like one of those \$12,000 toilet seats.

20           MR. GARCIA: I understand your comment.  
21 But let me tell you this: You as a public official and  
22 these AFRPA people should know you have responsibility  
23 to all the community RAB, to the community, and all the  
24 people you're killing with all this contamination.

25           You should and they should realize that

1 you have responsibility not only to put it in scientific  
2 jargon, but put it in language and present it to the  
3 community, you and AFRPA, because we are the ones that  
4 are affected by all of this.

5           And, furthermore, you're not paying for  
6 it. You're not paying for it. The taxpayers are paying  
7 for it, and the taxpayers should know what's going in  
8 that report. And we should not be having to spend a  
9 measly sixty-six hundred thousand dollars while they're  
10 wasting half a million dollars every six months for CH2M  
11 Hill, and they complain about a lousy sixty-six hundred  
12 dollars.

13           You and you have the responsibility.  
14 Yes, we're going to prepare a technical report. We also  
15 have the responsibility to the public and taxpayers that  
16 are paying this report to make the CH2M Hill  
17 responsible. You as professionals need to interpret  
18 this report and put it in laymen's terms so the public  
19 can understand it. That's why you're getting paid so  
20 much money. And they're getting paid so much money to  
21 do nothing but provide egghead jargon for one government  
22 agency for another ineffective government agency and  
23 without any regards to the public. And it should not be  
24 that way.

25           MR. SMITH: We are a bit past the meeting

1 lineup that we had. We are at the meeting wrap-up  
2 phase, which reminds us that the next TRS meeting is  
3 currently scheduled for December 13th at 6:30 right  
4 here. And the next RAB meeting scheduled for January  
5 10th at 6:30. An agenda for that is somewhat to be  
6 determined. One of the things that has to occur is the  
7 election of a new committee co-chair. Final comments?  
8 Motions?

9 MR. SHENEMAN: Who's running for  
10 committee co-chair?

11 MR. QUINTANILLA: Let me just say  
12 something. I have been accused of being very disruptive  
13 in these meetings. The people who do not come, the  
14 community doesn't come in because of me, I think that  
15 the people that are accusing me ought to look at  
16 themselves. I think they're the ones that are being  
17 disruptive because they just want to communicate down.  
18 They don't want to hear what the people have to say.  
19 And if the people do say something, we don't want to  
20 hear about it.

21 MR. SHENEMAN: Who says that about you?

22 MR. QUINTANILLA: The AFRPA. When the  
23 time comes, I will name the people.

24 MR. SHENEMAN: With each other? Are they  
25 going to the community saying this.

1 MR. QUINTANILLA: No. They said it to  
2 me.

3 MS. LAGRANGE: Mr. Quintanilla. If I may  
4 say, sir, you have been the person that has more  
5 information than all of us here besides Rodrigo. If  
6 we're not complaining and we keep repeatedly voting you  
7 in because we want you in this board, I would not be  
8 offended. Now, who are they? Nobody. We still want to  
9 keep you here because you have a role with knowledge,  
10 and I thank you for that.

11 MR. GARCIA: Don't let this get to you.  
12 You're a fighter. You're from my generation. Don't let  
13 any of this nitpicking crap get to you. We're here to  
14 fight for the community, fight for all the citizens that  
15 are dying because of this. And we're going to make a  
16 difference whether we fight them here or we fight them  
17 in congressional hearings or whether we get these people  
18 fired or whether we bring other types of criminal  
19 investigations in. We have to fight, and you're part --  
20 a main part of this fight.

21 Because these people are not going to  
22 change. They're not going to change their attitudes.  
23 They're not going to work with us. They're not going to  
24 tell us what's going on unless we fight. And it's going  
25 to take public advisement, congressional action, or

1 whatever it takes, it's going to have to happen because  
2 things have got to change.

3           And the first thing we need to do is get  
4 a leader to replace Antwine, who is going to have an  
5 open mind to us like Patrick McCullough did and work  
6 with us and listen to all our comments and provide us  
7 information and make us part of planning a future to get  
8 rid of all of this and provide federal funding for all  
9 of this.

10           Once we remove the big headache,  
11 hopefully the rest of his gang will start quitting and  
12 then maybe then we can start changing. But don't give  
13 up. We have to keep up our fight because we have people  
14 dying because of this. And all of these people in the  
15 AFRPA don't live in a contaminated neighborhood like I  
16 do. They do not care. And that's the thing. We care.  
17 Just remember that we care.

18           MR. QUINTANILLA: Thank you.

19           MS. HANNAPEL: I would like to second  
20 what Henrietta just said. Armando, you're the soul of  
21 this RAB. And I would also like to move that we  
22 adjourn.

23           MR. QUINTANILLA: Second that. Meeting  
24 adjourned.

25           (Proceedings concluded at 8:52 p.m.)

## 1 COURT REPORTER CERTIFICATE

2 COUNTY OF BEXAR

3 STATE OF TEXAS

4 I, ARLINDA RODRIGUEZ, Certified Shorthand Reporter  
 5 in and for the State of Texas, do hereby certify that this  
 6 transcript is as true and correct a record as possible,  
 7 transcribed by me through computer-aided transcription.

8 And further certify that I am not a relative or  
 9 employee or attorney of counsel of any of the parties; nor a  
 10 relative or employee of such attorney or counsel for any of  
 11 the parties hereto, nor interested directly or indirectly in  
 12 the outcome of this action.

13 In witness whereof, I do hereunto set my hand on  
 14 this 28th day of November 2005.

15  
 16  
 17  
 18 

19 Arlinda Rodriguez, Texas CSR 7753  
 20 Expiration Date: 12/01/06  
 21 In the State of Texas, County of Bexar  
 22 Firm Registration No. 79  
 10100 Reunion Place, Ste. 660  
 San Antonio, Texas 78216  
 (210) 340-6464



**FINAL PAGE**

**ADMINISTRATIVE RECORD**

**FINAL PAGE**