



KELLY AFB
TEXAS

ADMINISTRATIVE RECORD
COVER SHEET

AR File Number 3252.1

* * * * *

KELLY RESTORATION ADVISORY BOARD (RAB)

* * * * *

SPECIAL MEETING TO DISCUSS
ATSDR REPORT
NOVEMBER 9, 2004
6:30 - 9:08 p.M.

KENNEDY HIGH SCHOOL
1922 S. GENERAL McMULLEN
SAN ANTONIO, TEXAS

APPEARANCES:

- | | |
|--------------------------|--------------------------|
| Dr. David Smith; | Ms. Esmeralda Galvan; |
| Mr. Robert Silvas; | Ms. Carol Vaquera; |
| Mr. Pete Muzquiz; | Ms. LeighAnn Fabianke; |
| Mr. Rodrigo Garcia; | Ms. Larisa Dawkins; |
| Mr. Armando Quintanilla; | Ms. Robyn Thompson; |
| Mr. Tim Sultenfuss | Ms. Abbi Power; |
| Mr. Michael Sheneman; | Mr. Sam Murrah; |
| Mr. John Joseph; | Mr. Gary Miller; |
| Mr. Sam Sanchez; | Mr. Henry Galindo; |
| Mr. William Ryan; | Mr. Daniel Gonzales; |
|
 |
 |
| Mr. David Fowler; | Ms. Maria Teran-MacIver; |
| Mr. Brian Kaplan; | Ms. Kyle Cunningham |
|
 |
 |
| Mr. Glen Wilkinson; | Mr. Genaro Rendon; |
| Mr. Nicholas Charles; | |

And others in attendance who were not identified.

RAB 11/09/04

1 MR. SILVAS: Can we take a roll call and then we'll
2 find out if we have a quorum?

3 DR. DAVID SMITH: Yes. I'll do the names. If you'd
4 answer "here," please.

5 Ms. Converse? Not here.

6 Mr. DeNuccio? (No response)

7 Mr. Galindo?

8 MR. GALINDO: Here.

9 DR. DAVID SMITH: Thank you.

10 Ms. Galvan?

11 MS. GALVAN: Yes.

12 DR. DAVID SMITH: Mr. Garcia?

13 MR. GARCIA: Present.

14 DR. DAVID SMITH: Mr. Gonzales? He's going to be late,
15 I think I heard him say.

16 Mr. Murrah?

17 MR. MURRAH: Here.

18 DR. DAVID SMITH: Mr. Muzquiz?

19 MR. MUZQUIZ: Here.

20 DR. DAVID SMITH: Mr. Perez? (No response)

21 Mr. Person? (No response)

22 Mr. Rice?

23 MR. QUINTANILLA: I'm here for Mr. Rice. Armando
24 Quintanilla.

25 DR. DAVID SMITH: Thank you, sir.

RAB 11/09/04

1 Mr. Sheneman? (No response)

2 Mr. Silvas?

3 MR. SILVAS: Here. Present.

4 DR. DAVID SMITH: Ms. Vaquera?

5 Mr. Silvas, we do have a quorum.

6 MR. SILVAS: Okay. We can start the meeting.

7 DR. DAVID SMITH: I'd like to begin the meeting with
8 the Pledge of Allegiance. If you'd stand, please.

9 (PLEDGE OF ALLEGIANCE)

10 DR. DAVID SMITH: Thank you. And a moment of silence,
11 please.

12 MR. SILVAS: Before we go on, there was something that
13 was brought up to me for the community. They were wondering if
14 it would be possible to move up the community comment before the
15 ATSDR did their presentation. So, if we can go throw that out on
16 the table.

17 DR. DAVID SMITH: All right. Yeah, real quickly. Just
18 the goals for this meeting are simply to review and comment on
19 the ATSDR Health Consultation Past Air Emissions Report for Kelly
20 Air Force Base.

21 RAB members, do you have any problem with making
22 adjustments in the agenda to move the community comment period up
23 early?

24 MR. QUINTANILLA: I have no complaints. It's up to the
25 chair.

RAB 11/09/04

1 DR. DAVID SMITH: All right.

2 MR. SILVAS: So far move it to -- have it before the
3 meeting.

4 DR. DAVID SMITH: Would you like to move that then
5 immediately? Is that --

6 MR. SILVAS: Well, after we discuss those for the
7 meeting, I guess.

8 DR. DAVID SMITH: I think we're there, Mr. Silvas.

9 MR. SILVAS: Yeah.

10 DR. DAVID SMITH: Anything special about community
11 comment period that we need to know at this time?

12 MR. SILVAS: Yeah, there's a three-minute limit time
13 for each individual. So if they need to have a few extra
14 minutes, we'll address that as it goes.

15 DR. DAVID SMITH: Okay. Do we have comment cards at
16 the moment? Let me get these cards and we'll get us rolling.

17 I only have one. I think I have one more coming.
18 Genaro Rendon.

19 MR. GENARO RENDON: Good afternoon, everyone. My name
20 is Genaro Rendon and I'm an organizer with Southwest Workers'
21 Union and the Committee for Environmental Justice Action, which
22 is a local community organization that's been battling for a
23 clean-up of their community, for health care for their families,
24 and for also revitalization, not only inside of Kelly USA, but
25 also outside those fences for the communities that have been

RAB 11/09/04

1 impacted by decades due to the negligence of the Air Force.

2 We're here today because ATSDR, the agency for toxic
3 substance and disease registry has done it once again. They're
4 here in San Antonio releasing another study that again makes no
5 connections between the contaminations that exist in this
6 community and the health impacts that communities are facing.

7 Now, we know what we say ATSDR is flawed by design.
8 They probably, over the last ten years, have done over 12,000
9 assessments and probably under a handful of those have found a
10 connection between the contamination and the health impacts the
11 communities are feeling.

12 So we're here to let ATSDR know that we're not in
13 agreement with the flawed assessment that you did on past air
14 emissions. One, because you were working with very little
15 information. Secondly, there's no type of community
16 participation in the development of these assessments, which is
17 one of the crucial pieces in the work that ATSDR does. They do
18 not include communities, they do not talk to folks in the
19 communities to find out what those real impacts are.

20 So we're here to let folks know from the community,
21 from the RAB board, that we're definitely not in agreement with
22 the current study that ATSDR is releasing on past air emissions.
23 We're not in agreement with the assessments that they did in
24 1999. We're not in agreement with the assessments they did in
25 2001. Again, again, and again, you see ATSDR being a rubber

RAB 11/09/04

1 stamp for the polluter, and we say that ATSDR supports those
2 polluters from getting out of their responsibilities to deal with
3 the health problems that communities are facing due to the
4 negligence of the Air Force.

5 So, you know, it's very disappointing that there's
6 not community folks here. But, again, it's also part of that
7 confusion and that fragmentation that exists amongst the
8 government agency in trying to keep everything separated. ATSDR,
9 you know, has gone into several communities -- including Memphis,
10 Tennessee and other communities around the nation -- and has
11 found the exact same thing. Which is no surprise that there is
12 not a connection between the contamination and the health
13 problems, which we totally disagree with.

14 So, again, this was unannounced for one. You know,
15 again, going back to the piece on public participation. There
16 was no type of information put out there for folks in the
17 community to know that ATSDR was going to be here today. Even us
18 as an organization, we were notified late last week that ATSDR
19 was going to be making a presentation here today.

20 So, you know, we're just totally disappointed with
21 ATSDR, their lack of respect to the communities and their
22 continued support of the polluters, not only here in San Antonio,
23 but across the nation.

24 Thank you.

25 DR. DAVID SMITH: Thank you, sir. Our next one is for

RAB 11/09/04

1 Mr. Wilkinson. Mr. Wilkinson, would you mind using -- we're
2 going to try this mike here and see if that will work a little
3 bit better.

4 MR. WILKINSON: I'm here once again to ask the Board
5 members to be responsible -- especially the DOD, DOLA, DRMO,
6 Kelly RAB Clean-up Committee, Kelly Air Force Base Operation
7 Ranch Hand -- to go to 2103 Ackerman Road and remove their Agent
8 Orange drums buried that the sight, that is buried over the San
9 Antonio aquifer.

10 I returned Seguin River, which is part of the Texas
11 Water Commission in 1980. I have found S-7 Site, which led to an
12 S-2 Site. I have found now that Union Pacific was in
13 participation to ship Agent Orange from Mission, Texas, which is
14 the most deadliest spot in the State of Texas, other than Lake
15 Tawakoni. Their tracks lead direct from Mission, Texas to S-7
16 Site.

17 A Mae Wong, a prosecuting attorney -- a month
18 and-a-half after she turned in EPA for covering up Phil Bynum's
19 lack of forwarding information, which he withheld for nine years
20 to take the Agent Orange which was sold in the State of Texas.
21 She later went to the FBI. Whereas -- who took over her
22 investigation? Where did what investigation lead? Nowhere.
23 Because she turned in Region 6.

24 The EPA is here to regulate state agencies, not to
25 protect them. The EPA has done nothing. They have super glue on

RAB 11/09/04

1 their seats in their lily white building, ivory building, in
2 Dallas, Texas. Through the ten years of fighting, I have only
3 seen two EPA people, him and Mae Wong. Mae Wong had an FBI agent
4 present with them -- and Mae Wong went all the way to Washington
5 D.C., to the U.S. Justice Department, to report that Phil Bynum
6 withheld information that Agent Orange was sold by the truck load
7 through the State of Texas from S-7 Site, from Carswell Air Force
8 Base.

9 None of these sites were -- Agent Orange is a cradle
10 to the great chemical. That means when it was made in Mission,
11 Texas the DOD took fully 100 percent responsible for it. When
12 they shipped it to S-7 Site, if there was a derailment, they
13 would have been 100 percent responsible for it. When they
14 contaminated S-7 Site, S-2 Site, they were 100 percent
15 responsible for it. When they sold it to Lake Tawakoni, to the
16 Water Commission and the EPA, they were 100 percent responsible
17 for it.

18 DR. DAVID SMITH: Mr. Wilkinson --

19 MR. WILKINSON: Where is the responsibility of all
20 these people? They're hiding behind the Texas Open Records Acts
21 and the Freedom and Information Office. I have been repeatedly
22 denied by Jarver Durn --

23 DR. DAVID SMITH: Mr. Wilkinson, your three-minute
24 mark --

25 MR. WILKINSON: -- and the U.S. Attorneys Office in the

RAB 11/09/04

1 State of Texas. I have not received no information on them. And
2 they are covering it up and I have documentation on it.

3 DR. DAVID SMITH: Yes, sir.

4 MR. WILKINSON: Thank you.

5 DR. DAVID SMITH: Thank you, sir. Thank you.

6 We have one more presenter. I'm sorry I'm struggling
7 a little bit with the last name. Nicholas Charlee.

8 MR. NICHOLAS CHARLES: Charles.

9 DR. DAVID SMITH: I'm sorry.

10 MR. NICHOLAS CHARLES: That's fine.

11 Hi, Board. My name is Nicholas Charles. I live here
12 in the community. I am also a member of the Southwest Public
13 Workers' Union. I am president of the Board of the Union, State
14 of Texas. I'm here to represent a lot of people that are not
15 here. Why? Because we just heard a while ago, well, this is
16 just all of a sudden happening, this meeting.

17 I mean, it's sad when something like this comes into
18 the community and then we know that everything has happened here
19 in the community, but yet the community is not aware. Just like
20 the stuff that was here and is still here. People don't
21 understand why these things are happening. You know, a lot of
22 times our children are asking us, Dad, why am I bleeding from my
23 nose? Dad, why are these white spots coming out on me? How come
24 I keep having these headaches?

25 You know, we have our doubts. We got to take

RAB 11/09/04

1 responsibility. I work here in the Edgewood School District.
2 When I see something going on wrong, I speak. And I say, you
3 know what, this has got to stop. And if you have responsibility
4 in your job, I don't care what it is, ATRSA, whatever it is, you
5 have a responsibility as an adult, as a parent to see what is
6 right and what is wrong.

7 I don't care about the government. The government is
8 run by the people, not the people -- not government runs the
9 people. We got to make this understanding to the people in the
10 community, we are in charge. And if you're not really there
11 taking that stand and really being in charge, get your butt off
12 that chair and let somebody to the right things. We need real
13 leaders. We need it from the heart. Not just for yourself, but
14 for your children, your grandkids, whoever is behind them on your
15 bloodline, people that you know that has passed on.

16 You know, you got to take it inside yourself and say,
17 you know what, I got to stop this. This is real, I got to stop
18 and I got to show the reality, what is really going on. If the
19 water is contaminated, I'm going to have to say it. If the
20 ground is contaminated, I'm going to have to say it. If the air
21 is contaminated, I'm going to have to say it. And if you're not
22 going to say the truth, get your butt off that chair and let
23 somebody else take that place and let them do the right thing.

24 You know, a lot of us are struggling in the United
25 States. Not just the United States, all over the world. And if

RAB 11/09/04

1 we don't stand for justice and believe in what we stand for, what
2 are we going to show the nation? What are we going to show the
3 world, if in our own back community we're lying and we're
4 stealing. What else can we say?

5 You know, we got to be human beings and we got to do
6 the right thing. If we don't do it, the hell with everything.
7 That's like my dad used to say. The hell with everybody, mijo.
8 People don't care. Well, I'm a person that cares. Are you? If
9 you don't, you're going to have people like me up here speaking.
10 And if we don't do something about it, somebody else is going to
11 do. That's why people go crazy. They go crazy and then we say,
12 why did they go crazy? Because crazy people make the mistakes.
13 But not saying the truth, first about it, they're really the
14 crazy people. Think about it.

15 You know, we all have the little things in our minds
16 and our spirit and our soul and our body that says yes, no, yes,
17 no.

18 DR. DAVID SMITH: Thank you, Mr. Charles. Those are
19 all the community comments that I have.

20 MR. SILVAS: I'd like to address as far as the
21 logistics and the time in all this. It took some effort to get
22 it changed from a TRS meeting, which we thought would be better
23 to have it for a special RAB, maybe have a larger turn out. I
24 noticed that there was an effort to make a contact through the
25 media and so on.

RAB 11/09/04

1 I also want to remind you that there's a deadline by
2 November to make comments on this. So on your way out, there's
3 copies that you may want to take and turn those in.

4 DR. DAVID SMITH: Okay. Thank you, sir. Next item on
5 the agenda is the report on the ATSDR, the registry of community
6 update past air emission report. My understanding is that Mr.
7 Fowler is going to set that off. Is that correct?

8 As you all recall, one of the strategies we've used
9 in the past has been if there are particular questions that you
10 know that you want to ask, sometimes it would be helpful if we
11 can get them out. The folks up there can write them on the
12 board. Perhaps the presenter can address them during them during
13 the presentation, rather than having to come back around that
14 way.

15 So, are there some particular questions that you
16 would like to ask and be raised at this point so we can get them
17 on the board, perhaps get them responded to?

18 UNIDENTIFIED SPEAKER: Will we have questions and
19 answers after they speak?

20 DR. DAVID SMITH: We shall do that too. We shall do
21 that too.

22 Any questions?

23 UNIDENTIFIED SPEAKER: Did the ATSDR find any
24 connection with the health problems in the community and the
25 chemicals being used inside the base?

RAB 11/09/04

1 DR. DAVID SMITH: All right. Thank you. Okay. We
2 will ask you to then hold your questions until the end of the
3 presentation. We'll try to get everything written down that we
4 possibly can and get those responses noted and try to stay within
5 some kind of time boundaries on that.

6 Mr. Fowler, let me get out of your way and give you a
7 little room to work here.

8 UNIDENTIFIED SPEAKER: Can I ask another question?

9 DR. DAVID SMITH: Sure.

10 UNIDENTIFIED SPEAKER: How many times has ATSDR sided
11 with the community on health assessment rather than the agency or
12 corporation?

13 DR. DAVID SMITH: They will put that on the board.

14 MR. WILKINSON: Is the EPA here?

15 DR. DAVID SMITH: I'm sorry. We're dealing with the
16 ATSDR right now.

17 MR. WILKINSON: He's part of the government. He needs
18 to give us a definition of chemical rain.

19 DR. DAVID SMITH: We're going to stay with the report
20 tonight.

21 MR. WILKINSON: Well, the ATSDR can give us the
22 definition of chemical rain.

23 DR. DAVID SMITH: Put that on the list of requested
24 information.

25 Yes, ma'am?

RAB 11/09/04

1 UNIDENTIFIED SPEAKER: My question is: Why does the
2 ATSDR reach conclusions when they do not have sufficient data to
3 make it up? And how many times has ATSDR sided with the
4 community rather than --

5 MS. ROBYN THOMPSON: I didn't get the last part.

6 UNIDENTIFIED SPEAKER: -- federal facilities, agencies,
7 industries, corporations?

8 UNIDENTIFIED SPEAKER: I have one of those wells that
9 are capped around here. Are they leaking?

10 DR. DAVID SMITH: Are the capped wells leaking? Is
11 that correct?

12 UNIDENTIFIED SPEAKER: Yes.

13 MR. WILKINSON: I have a question. You're taking
14 contaminated water, dumping it into whatever that creek is...

15 UNIDENTIFIED SPEAKER: Leon.

16 MR. WILKINSON: That in turn dumps into Medina or
17 whatever. I haven't followed it. Then it ultimately ends up in
18 San Antonio River, which goes to San Antonio Bay, which gets into
19 the our ship channels and our channels and pollutes the bay of
20 Corpus Christi. What are y'all doing? Y'all are moving one
21 contamination to another site. You're not destroying it. You're
22 just removing -- you're just moving it to a different spot. Same
23 thing with the Robstown.

24 DR. DAVID SMITH: Mr. Wilkinson, is there a question?

25 MR. WILKINSON: Yes. Why are you not destroying the

RAB 11/09/04

1 chemicals of -- instead of just redistributing these chemicals?

2 DR. DAVID SMITH: Thank you.

3 UNIDENTIFIED SPEAKER: I live behind Kelly field where
4 jet fuel tanks were. I have a very bad smell behind my house
5 where I can't let my grandchildren play in the backyard because
6 they are close and it penetrates to our bodies and into our
7 clothes. And I want to know if they're going to get rid of that
8 smell.

9 DR. DAVID SMITH: Okay. We'll make sure we got that
10 question.

11 Tim, are you catching that one?

12 MR. SULTENFUSS: I'm going to write down: Is the Air
13 Force going to address the smell near my house? Is that okay?

14 UNIDENTIFIED SPEAKER: Yeah, because I have a very bad
15 smell behind my house where the jet fuel tanks were. And we
16 can't go outside and my grandkids can't play outside because of
17 that smell and when they come inside the smell is very bad and
18 our clothes smell very bad. And we have health problems with our
19 being there too.

20 DR. DAVID SMITH: Thank you. We'll come back and
21 respond to these questions.

22 UNIDENTIFIED SPEAKER: What is the ATSDR community
23 involvement plan or how do they do that? Why do they not involve
24 community members when developing plans?

25 DR. DAVID SMITH: Anything else?

RAB 11/09/04

1 UNIDENTIFIED SPEAKER: Did ATSDR find any connection to
2 the workers' health? Did they do a worker survey and compare it
3 to the chemicals that were used and what were those? What were
4 those impacts? Are they the same as health products in the
5 community?

6 MS. GALVAN: I'd like to ask a question to ATSDR. I
7 know that in the past -- I read many articles on the studies that
8 ATSDR did. They were going to go back and do a study on the
9 ex-Kelly workers, and I don't know if they've ever done that. Is
10 that ever going to get done; a study on their cancers and see if
11 they can cluster them, see if there's any kind of connection
12 there to what they were exposed to.

13 DR. DAVID SMITH: Okay.

14 MR. WILKINSON: And make a note if they do a specific
15 study on the workers that S-7 Sites.

16 MS. GALVAN: I'd like to have that done too.
17 Especially that site where there's -- I haven't seen the
18 evidence, but the actual evidence that he's presenting or may
19 present in the future to -- hopefully we can make some kind of
20 explanation as to why ex-Kelly workers are coming down with
21 cancer and dying at the present time. Before they keep dying.

22 MR. SULTENFUSS: I have, "Is the ATSDR going to do a
23 study on past Kelly workers?"

24 MS. GALVAN: Well, they brought it up. It's mentioned
25 several times in their studies.

RAB 11/09/04

1 DR. DAVID SMITH: What happened with that?

2 MS. GALVAN: I'd like to know what happened with that
3 study? Why haven't they done it?

4 DR. DAVID SMITH: Robyn, would you flip your chart
5 back. We don't have all of that.

6 UNIDENTIFIED SPEAKER: You left off about half of the
7 question. It was: Was there any connection with the health
8 symptoms that workers suffered or were they similar to the
9 community health symptoms?

10 And did ATSDR survey the workers, do a health survey,
11 to find out what chemicals they worked with and the connection to
12 their health problem?

13 MR. MUZQUIZ: I'd like to know who ultimately pays for
14 ATSDR?

15 DR. DAVID SMITH: Who ultimately pays for ATSDR action?

16 MR. MUZQUIZ: Right. Which agency?

17 UNIDENTIFIED SPEAKER: Is it going to take five years
18 before the final draft of this report is released?

19 DR. DAVID SMITH: Okay. Are we ready for presentation?
20 Mr. Fowler, let me get you on that. I'll turn it to you.

21 DR. DAVID FOWLER: Thank you. I'm David Fowler. And
22 this is Brian Kaplan. This is Maria Teran-MacIver.

23 MR. SILVAS: Get closer to the microphone.

24 DR. DAVID FOWLER: We are from ATSDR in Atlanta. We
25 were asked to come here by our management during the public

RAB 11/09/04

1 comment period to answer any technical questions about past air
2 emissions, how that document was conceived and how it was -- the
3 methodology that was used to form our findings.

4 The ideal was for us to come during the comment
5 period so that you would still have time to make public comments,
6 written comments to us about the document.

7 I would like for people to read the document, see
8 what the document says. It seems all too often people listen to
9 what other people say and don't read the document for themselves.
10 And we're here to try to help you get through some of this
11 technical stuff.

12 Now, we're asked to come here just for the past air
13 emissions. The other issues are beyond our control. We're just
14 technical people to do this. We would like for you to hold
15 questions until the end and let us go through what we have to
16 offer.

17 We will be coming back in December or January. Maria
18 will talk to people about when the best time for that will be to
19 be -- to go through an entire thing about what's happened at this
20 site since the petition came about. What all has happened, what
21 the findings were and try to tie things together. Over this long
22 period of time, people lose sight of what's happened and we want
23 to try to tie that together for everyone.

24 I also will have people here to address each of the
25 other issues that we can't address. The health outcome data, you

RAB 11/09/04

1 know, we can't address that. Someone will be here for that. And
2 we'll have somebody to address East Kelly. We'll have someone to
3 address each of the other documents for the site.

4 But tonight we're going to talk about the past air
5 emissions and we're going to explain what we did to come up with
6 an estimate of those emissions. For a -- just an overview of why
7 we did past air missions, think back to 1999, the original EHA,
8 the original health assessment that was issued, we identified
9 elevated liver cancers, elevated birth defects, elevated low
10 birth weighs and leukemia in the community.

11 Now, when you identify these kinds of things, you
12 have to look to see if they might be from any environmental
13 exposure.

14 For the liver cancer, we determined that it was so
15 widespread throughout most of South Texas that it is unlikely
16 that it was due to Kelly.

17 For the birth defects and low birth weight, they were
18 issues that are happening within a year. So the emissions at
19 that time were very low, so it's unlikely that they would lead to
20 -- the environmental exposures would lead back from Kelly, from
21 the data we have.

22 For the leukemia, however, any cancer typically has a
23 latency period. When we identified the elevated leukemia, it was
24 from 1990 to 1994. Leukemia latency, the time after the
25 exposure, before the onset of the disease, probably runs 5 to 20

RAB 11/09/04

1 years. So that meant we had to look at air emissions back to
2 about 1970 for that. That meant going beyond 1994. In 1994 they
3 changed jet fuels from JP-4 to JP-8. So what we had to try to do
4 was reconstruct what past air missions may have been during that
5 period of time.

6 Brian has done a great job because this has not been
7 done before. A reconstruction like this, normally what happens
8 is you say, well, we just can't go back there and do it. It
9 wasn't monitoring air facts. But we felt like because we knew
10 they were emissions that -- from JP-4 that -- JP-4 contains more
11 benzene, for instance than JP-8. So that, coupled with the
12 elevated leukemia, comes a little smoke that we felt like we had
13 to look at to clarify for the community.

14 So, in looking back over this, in reconstructing
15 this, the tough part was the methodology. How in the world are
16 we going to do it because we didn't have any expertise and
17 operations and jet aircraft and all the many facets of it. It
18 was a very complicated exercise to go through. And Brian's done
19 a great job going through this, and I'd like for you to get a
20 feel of what he did going through the methodology that he
21 developed to look at this and see what we looked at, how we
22 developed it. Then we'll talk about what those findings coming
23 out of that may mean.

24 So, Brian will come up and...

25 MR. BRIAN KAPLAN: Good evening, ladies and gentlemen.

RAB 11/09/04

1 Good evening, Board. It will take me a second to calm down here
2 and get comfortable.

3 Like David said, I'm going to go through methodology.
4 In the science of environment, historically when you go back to,
5 say, pre 70's, there hasn't been a lot of ambient data collected,
6 but there has been some data collected on what industry had and
7 what they were emitting.

8 So for us to reconstruct the past, we had to rely on
9 that data. The data wasn't one hundred percent complete, it
10 might not have even be 50 percent complete. We dug through the
11 data and I'll present some of that to you tonight. And if you
12 have other ideas of where we can get that data, we would love to
13 hear it.

14 I didn't do this alone. I had some help, and here is
15 three of the people -- three of four of the people that helped
16 me. There were a number of data sources that we need to obtain.
17 A number of data that we needed to get. Charles Williams was our
18 point and contact when we started this work several years ago.
19 He obtained a lot of the information that we got on jet aircraft
20 that I found in the literature. He also helped us get some
21 historical information on the actual industrial operations.

22 So when I'm talking tonight, I'm going to be talking
23 about industrial operations and aircraft operations. At the end
24 we sort of bring those two together.

25 Evert Douglas, he's with the Navy Aircraft

RAB 11/09/04

1 Environmental Safety Office. If there's one person you need to
2 go to talk about aircraft exhaust, he's the man. He helped us
3 interpret some of the data on aircraft engine testing.

4 Vincent Tino and George Siple at DCM, they're our
5 contractor that did the initial air disbursement modeling for the
6 aircraft. They divided it so that we can then take their
7 results, their model, and they were able to run different
8 scenarios on it to test -- do sensitivity analysis, different
9 number of operations and different number of claims. They'll
10 become clear in a moment.

11 As I was saying, the reconstruction of past air
12 concentrations, there was no monitoring data so we had to run a
13 air disbursement model, which is basically a mathematical
14 formulation to simulate the environment. But you need to know
15 where the emissions locations are, whether it's industrial or
16 aircraft. And I'll show you some details of that in a moment.

17 Also, you need to know the emission perimeters, what
18 chemicals are being emitted, how much, how fast, and under what
19 conditions. Chemicals in a staff gas that are released at higher
20 temperature are going to float out of that stack much higher than
21 emissions that are more colder or any ambient temperature that
22 may settle back down to the ground. So you need to know
23 temperatures.

24 And then of course the model. We used a model called
25 Industrial Source Complex Short-Term Version III Model. It's a

RAB 11/09/04

1 model the EPA has been using for a number of years, and it's a
2 pretty robust model that the EPA has been using as well as the
3 states.

4 But you also need the -- the model has been reviewed,
5 peer reviewed, and has been pretty well tested, but it does leave
6 uncertainties in it. And then the model parameters, how you run
7 the model is also a concern. I have a slide or two on that also.

8 Of course, there's a lot of uncertainties and
9 limitations in trying to reconstruct anything from the past. One
10 is the model itself. Does it adequately model? Does it
11 adequately simulate the environment? Under the best conditions,
12 the model we used can estimate the actual results about plus or
13 minus 100 percent. Which means that if you had a model result of
14 one microgram per cubic meter, the actual results can be .5 to 2
15 micrograms per cubic meter. Which in the scheme of things is
16 pretty good, and I'll show you why at the end.

17 Model inputs. By and far, that's the largest
18 uncertainty that we have in this case, and any test modeling
19 exercise. Where were all those emission locations? How much
20 were those emissions? What were those chemicals?

21 How about -- a lot of times you'll have data from
22 routine releases, such as from a factory or so forth. But if
23 there's unusual circumstances, upsets or spills, those are not
24 always captured in the data. But they may have occurred and it's
25 very difficult for us to obtain any of that.

RAB 11/09/04

1 And then another -- a large uncertainty is emissions
2 averaged over a year. Meaning, when you look though these
3 records, you usually get an emission amount over a year. Say,
4 ten times per year. However, for an amount of the exercise, we
5 have to average that out over the entire year. We have to assume
6 that that emission amount is up -- is coming from that factory or
7 that aircraft 24 hours a day, 7 days a week, 365 days a year.
8 However, if that industrial facility or aircraft had seasonal
9 variations or daily variations, we weren't able to capture that
10 because we didn't have the data in those cases. For instance,
11 the factory may only be operating eight hours a day, five days a
12 week. The aircraft may only be operating during the day. So, in
13 effect, it smoothes out our numbers.

14 Some of the sources. Again, the largest uncertainty
15 is the model of that emissions number, and this is how we got our
16 data. Again, we broke it down into stationary and aircraft. For
17 stationary, Kelly Air Force conducted several studies for us.
18 It's a series of three reports. They look at historical records
19 and they grouped the data into periods of emissions from '70 to
20 '75 and '83 to '89. That was the -- those years, those periods,
21 where the best data that they said they could get for us.

22 Current -- I threw current up there. It's 1995. We
23 previously released the report looking at current emissions. And
24 I just wanted to throw up the year up there for reference for our
25 previous -- for the study -- for the data that we had from past

RAB 11/09/04

1 years. Current was defined as 1995 to base closure, and that's
2 when we started working on Kelly Air Force Base.

3 So, again, when we're looking at past, when I talk
4 about industrial emissions, it's from 1970 to '75 and '83 to '89.
5 Those documents put that in perspective, the previous years into
6 other emissions that the facility may be -- that Kelly had.

7 Aircraft. Aircraft we broke down into specific data
8 in general studies. Specific data would be the types of aircraft
9 that flew in and out of Kelly, the number of operations, the type
10 of engines on those planes, and so forth.

11 The general studies are: What's coming out of those
12 jet engines? Well, the Air Force, in the late 70s and middle 80s
13 conducted a number of studies on aircrafts to actually determine
14 what was coming out of those engines, what hazardous air
15 pollutants was coming out of those engines. It was key for us to
16 do that work. And I'll show you a sample of those results.

17 That work was done generally -- it wasn't done
18 specifically for Kelly. It was done for Air Force base and Navy
19 installation base-wide concerns about what was coming out of jet
20 aircraft.

21 And then metrological data, you need that for the
22 model. I won't go into that, but we had surface data from San
23 Antonio. Okay.

24 Here are all the emission sources that we were able
25 to identify represented in the red dots. There are about 1400

RAB 11/09/04

1 unique emission locations. Up in the northeast you can see
2 there's dots representing the tank farm. I won't go each and
3 every one of these dots, but in our report we list the buildings
4 that we included in our modeling exercise. We did not include
5 every building in our modeling exercise because we're -- we had
6 to filter out -- and our filtering is based on quantity and
7 toxicity. What were the risk drivers? When you see the results,
8 you'll see how that falls out.

9 The blue dots represent the aircraft locations. And
10 that -- those aircraft locations were simulated by us. Each dot
11 represents a single model location, and those are approximately
12 three seconds apart. I'll show a couple more slides on that in a
13 moment.

14 Talking strictly about stationary sources for another
15 minute. Other data -- I was talking about the physical
16 parameters of the release. You need to know the temperature of
17 the exit gas, the diameter of the stag gas that exits. These
18 other parameters you might not be interested in. Sometimes these
19 parameters were not available so we defaulted to conservative
20 values, which are shown in parenthesis, so that when the chemical
21 was released, it would be released so that the worse case most --
22 the most contaminated air would occur. And I'll show you how
23 that plays out in a moment.

24 Okay. I don't know if you can see this, but this
25 particular slide highlights the emission points for methylene

RAB 11/09/04

1 chloride. There are 12 -- this is just an example. I'm not
2 going to show -- this is the only one I'm going to show of the
3 emission locations. Those are shown in yellow. There are 12
4 locations for methylene chloride, three of them highlighted with
5 numbers. The one in the center it says 2.6 pounds per hour. I
6 don't know if you can see that. Maybe I need to point it out.

7 MR. WILKINSON: What is methylene chloride?

8 MR. BRIAN KAPLAN: Methylene chloride it's used in
9 stripping paint.

10 Can you hear me okay?

11 Again, these yellow locations represent the places
12 where there are methylene chloride releases. And I only
13 highlighted a couple ones. The greatest ones that were emitting
14 -- here's 2.6 pounds per hour, and that was, I believe, a
15 painting and stripping operation. Paint stripping operation.

16 MR. WILKINSON: Is that where the B-52s caught on fire?

17 MR. BRIAN KAPLAN: Sorry, sir?

18 MR. WILKINSON: Is that where the B-52s caught on fire,
19 in that area?

20 MR. BRIAN KAPLAN: I do not know that -- where that
21 location is. The question is: Is that where the B-52 caught on
22 fire? I don't know. Perhaps you can point -- tell us when and
23 we can figure that out.

24 MR. WILKINSON: That's the general area.

25 MR. BRIAN KAPLAN: Okay. Okay, this chart is a little

RAB 11/09/04

1 complicated, so let me explain it. Along the bottom is distance
2 from the source. Along the "Y" access is concentration. In this
3 particular case we modeled chromium emissions from one single
4 source. We tried different model parameters. The point I want
5 to make is that you can run the model under rural dispersion and
6 urban dispersion. Here's world dispersion in green dots and in
7 red. We took a conservative approach and used rural dispersion.

8 You can also adjust the heights of the different
9 stacks. For default, we used 6.2 meters, which is -- results in
10 higher concentrations. So when we didn't have staff parameters,
11 we went with conservative concentrations.

12 It also shows that -- this is on base, so if you're
13 going from an emission point out in a north or south direction
14 with the base boundary being here or here, even though you change
15 the model parameters, the result is large differences in
16 concentrations on base. But when you reach the base boundaries,
17 the mixing results in similar concentrations. So, we went with
18 conservative approaches. Although in the end it may not matter,
19 depending on where you were on the base, where the emission plant
20 was on the base.

21 Okay. That's all I have to say about our methodology
22 for stationary industrial sources. I will show you results in a
23 moment for that, but we're moving to aircraft. We have to know
24 the types of planes and engines, the frequencies of take-off and
25 operations, the locations and emission factors and time and mode.

RAB 11/09/04

1 Mode is taxiing, runway roll, climb out, and so force. So you
2 need to know how long each plane was in one of those modes. And
3 I've got an example of that in a second.

4 Okay. Getting a list of planes for Kelly. Well,
5 here is what I was able to put together. It came from the
6 Supplemental Environmental Impact Statement. It also came from
7 Kelly's official pictorial history book. How's that for a
8 source?

9 MR. WILKINSON: Do you have a breakdown of which
10 airplanes used what kinds of J-fuels?

11 MR. BRIAN KAPLAN: Question is -- can you repeat that
12 please?

13 MR. WILKINSON: What specific airplanes used what
14 specific J-fuels.

15 MR. BRIAN KAPLAN: J-fuels?

16 MR. WILKINSON: Yes.

17 MR. BRIAN KAPLAN: The question is: Do we have
18 information about what particular planes to what particular
19 fuels.

20 DR. DAVID SMITH: We'll note that question. Please
21 hold questions until the end. We asked you to do that.

22 MR. BRIAN KAPLAN: Well, we assumed all the planes used
23 JP-4.

24 There's also a study that was done on noise, historic
25 noise, that had a list of aircraft too. Also this chart doesn't

RAB 11/09/04

1 show different variations of the planes; like a B-52 could come
2 in a B-52-A, B, C, D; up through H, I believe. And so can a
3 C-130 and C-141.

4 Now, I was talking about emission factors, what's
5 coming out of the jet engine. And we got that from studies that
6 the Air Force did in general. The planes shown in gold are the
7 planes that we had emission factors for. For those other planes
8 and other engines, there's no data on what was coming out of
9 those jet engines. So, we're left with a choice.

10 And we didn't exactly know what exact fleet of planes
11 were operating in and out of Kelly, so we took a conservative and
12 less conservative approach. First we assumed all the -- based on
13 the data that we had, the B-52 was the highest emitting aircraft.
14 It had eight engines. It was emitting the most hydrocarbons.
15 And we had breakdown of what those hydrocarbons were. Well, it
16 was benzene and butadiene.

17 For a less conservative approach, we also looked at
18 the F-16. It had one engine. And although it didn't exist in
19 the 60's, it was our proxy for a less polluting airplane. So we
20 were looking at a range emissions.

21 Okay. Here's a picture I found -- a quite
22 interesting picture I found in a report to Congress in 1968. The
23 report to Congress was done by a predecessor agency of the
24 Department of Health and Human Services, and they're talking
25 about aircraft emissions. In this particular picture, they're

RAB 11/09/04

1 showing how -- here's the typical engines on a B-52. There's two
2 on each pod. But they're trying out a different angles to see --
3 to compare the results. And although it's very difficult to see,
4 the caption says, "Note the absence of smoke from the JT-9-D
5 engine right here located on the right wing at the in-board
6 location."

7 So, the point of this is that the emission tests that
8 the Air Force did were done in the late 70's and early 80's. It
9 is -- it's sort of a jump to say that those tests represent
10 engines from the 1960's, but it's an assumption we made. So we
11 sort of tried to get around this by saying, in a moment, that we
12 looked at all aircraft coming out of Kelly that were B-52s for
13 one of our model runs.

14 Okay. Aircraft, number of operations. This was
15 another key. There was -- in the Environment Impact Statement
16 that Kelly did, this chart goes from '95 to '64 with the peak
17 operations in '64 of 336,000 operations.

18 The blue diamonds with lines represent consecutive
19 years where data existed. There was no data between '73 and '68
20 or from '68 to '64. You only can assume -- you can't assume
21 anything in here. It could be higher or lower. But we modeled
22 336,000 operations because that was the best data we had.

23 We also looked at -- we took an average of '95 and
24 '73 of about 12,000 operations and we used that in our model too
25 to get comparisons to see what the model was going to say. And

RAB 11/09/04

1 we -- again, we assumed that this was all B-52s. It's my
2 understanding there's not enough B-52s in the world to have
3 336,000 operations. But we also used F-16 up here too, as well
4 as a B-52 and F-16 down here also. Okay.

5 Here's another schematic of the aircraft coming in
6 and out of Kelly. Kelly is in white. You may recognize the
7 roads. Here's the highways. The yellow squares represent the
8 flight paths that we used in our model. This is approach,
9 landing, runway roll, take off. We assumed all taxiing was on
10 one taxiway. And each one of these dots represents about every
11 three seconds of aircraft flight.

12 Okay. Here's an overhead shot just showing you again
13 the taxiway. All taxis were on this one runway. We compressed
14 it to that because we didn't have enough details on all the
15 taxiing. And then we did straight in and straight out
16 trajectories even though this sort of looks like it's curving.
17 We didn't do model turns.

18 Okay. Here's a -- it's from the side to show you
19 that we started our molding out at 5.7 miles and the plane was at
20 1570 feet. And take offs, it went up to 1.5 miles, up to 4500
21 feet. And the distances were determined by the time and mode.

22 So the time and mode for approach is defined as, I
23 think, 1.5 minutes. So we got 1.5 minutes. The distance was
24 determined by the speed of the plane. And take-off, it looks
25 like -- I think this is four and-a-half minutes -- and take-off

RAB 11/09/04

1 is one and-a-half minutes. So that's what the distance was
2 determined by.

3 Okay. I was talking about emission factors. This
4 was the key for us to be able to do this. This is a sampling of
5 only a few of the compounds. There were 61 compounds in this
6 report, mostly volatile organic compounds, some semi-volatiles,
7 and 11 PAH's, poly aromatic hydrocarbons.

8 In this case I'm showing butadiene, benzene,
9 naphthalene, formaldehyde, acid aldehyde, and acrolein. And
10 along the top, it's important to know what tower setting those
11 engines were run on. And they're typically tested at four
12 different settings -- idle, 30 percent, 75 percent, and 100
13 percent. And then data was reported in parts per million in
14 carbon, which in the science of the atmosphere is a pretty common
15 unit. We converted that to percent ratio over the hydrocarbons,
16 percent of (inaudible) air pollutants for hydrocarbon. That comes
17 into play in a couple slides when I sort of explained how we
18 calculated what was coming out of the engine on a per second
19 basis.

20 Couple things to point out here is that this is for
21 the B-52-H, using JP-4 fuel. That at idle. That's the worse
22 time for a B-52-H engine. It was emitting the most at idle. So
23 when that plane's idling on the taxiway, that would be the worse
24 case time for that plane. But that's not always the case for
25 every plane. For the F-16, the worse time for that engine is

RAB 11/09/04

1 when it's on engine check at the end of the runway and when it's
2 taking off.

3 Also note that formaldehyde -- of all these
4 chemicals, formaldehyde was the largest emitter. Also, benzene,
5 butadiene, formaldehyde -- all these compounds -- are typical
6 pollutants from automobile exhaust. When we're looking at
7 exposures, it's almost impossible -- in fact, I don't know of no
8 one who's done it, try to extinguish exposure from exhaust from
9 aircraft versus automobiles.

10 Okay. I talked about aircraft mode. These came from
11 Air Force guidance documents. Again, the different aircraft
12 modes are start-up, outbound taxi, engine check, runway roll,
13 climb-out, approach, landing, in-bound taxiing, idle and
14 shutdown. The guidance documents break that down into different
15 thrust settings, idle, military -- which, is 100 percent power --
16 and afterburner, if the plane uses afterburner. And then we have
17 the number of minutes in each one of those modes. From the
18 emission test results, we can get engine fuel flow per engine per
19 hour, the amount of hydrocarbons per engine. Combining it with
20 that ratio I talked about, that hazardous air pollutant
21 hydrocarbon, we can get a number of grams of benzene per second
22 for each one of those yellow dots that I showed you. And that's
23 how I was able to model the emissions from the aircraft.

24 Okay. So sort of putting it all together now, we
25 have the red dots representing industrial sources, the blue dots

RAB 11/09/04

1 representing the locations of the aircraft, and each one of these
2 dots represents a concentration coming out of that stack, or
3 coming out of the back of an engine. You put that into the model
4 with the meter -- with weather data, and the model calculates a
5 concentration. And each one of these black dots we went out to
6 about 12 miles and 14 miles in the east/west direction. Each one
7 of these represents -- it's about 300 meters apart.

8 So the next slide -- so that's sort of the end of my
9 methodology. But the next slide is going to show you the peek
10 concentrations we came up from -- the peek concentration for
11 industrial and aircraft is located in this area off base. In
12 this particular spot, the butadiene levels were 20 micrograms per
13 cubic meter. We have the scenario -- I'm only showing the B-52
14 up here. We're showing before 1973, which is the 336,000
15 operations per year. The period '73 to '94 is a 112,000
16 operations per year. That's concentrations. And then there's
17 the same things for cancer risks that we're showing.

18 So for butadiene before 1973, the maximum
19 concentration based on our model was 20 micrograms per cubic
20 meter, and it dropped to about a third of that between '73 and
21 '94. And the risk numbers for butadiene was about 3 times 10 to
22 minus 5 before '73. And 9 times 10 to minus 6 between '73 and
23 '94.

24 Now, I don't know how many people are familiar with
25 risk numbers. I just blurted those out, but this is

RAB 11/09/04

1 approximately 3 in 100,000, meaning that the model or the risk
2 calculations estimates there would be about three additional
3 cancer cases in 100,000 above background. And background is
4 generally about one in three or one in four over a lifetime. And
5 this is a lifetime number.

6 For benzene, similar concentrations are 20 and 7.
7 This is no surprise because the jet exhaust tests show that
8 they're emitting about the same amount. The risks were a little
9 bit higher. Benzene is a higher slope factor for cancer. We're
10 looking at about five additional cancers cases in 100,000 before
11 '73. And between '73 and '94 it's about two in 100,000
12 additional cancer cases from the emissions.

13 Formaldehyde, higher concentrations, 58 micrograms
14 per cubic meter before '73. And between '73 and '94, it's 19
15 micrograms per cubic meter. Because of those higher
16 concentrations, the model risk of additional cancer cases would
17 be two in 10,000 before '73, and seven in 100,000.

18 Now, David is going to explain what these numbers
19 mean in a little bit more detail.

20 DR. DAVID FOWLER: Thank you, Brian. I like being up
21 here too so I can point.

22 Can we have the next slide, please. Let's talk a
23 little bit about the levels that we find and what they mean
24 compared to some other levels that we know. This is
25 formaldehyde, the comparison for formaldehyde. Over on the far

RAB 11/09/04

1 end we've got the number 7, which is an average outdoor level for
2 formaldehyde. The average indoor air level, notice, goes up to
3 about 40. The indoor air levels of formaldehyde have been found
4 to be higher than outdoor levels because of the building
5 materials inside.

6 A smoky bar -- smoke-filled bar, the levels were
7 about 65. At Kelly, the maximum, using the B-52, was about 58.
8 The lowest level where we see health effects occurring is about
9 195. Now, that seems to be a whole lot higher than the levels
10 that we find here, and it is, but we need to understand where
11 these numbers come from also. For instance, the health effects
12 that we usually can look at are -- they either come from
13 occupational studies about exposures in the past where they
14 didn't know a lot about the chemicals and people were exposed to
15 high levels in the past. They're not exposed to those high
16 levels anymore, so you have to go back to the past to study it,
17 to look to see at what levels they may have been exposed at and
18 what kind of diseases came out of that.

19 Another thing about looking at occupational studies
20 like that is that that latency period occurs and a lot of the
21 diseases show up later on.

22 The other way we get numbers is from animal studies.
23 And with animal studies, you're limited as far as how many
24 animals you can use, so you give them very high doses. Sometimes
25 you don't know if that's going to extrapolate down to low doses

RAB 11/09/04

1 that you can tell anything about, but if you don't give them high
2 doses, you may not see an effect.

3 When you look at some of the effect levels that we're
4 talking about -- if you're talking about what Brian was talking
5 about, some that were occurring in the 100,000 range. If you had
6 one in 100,000, to be able to see that, theoretically, you would
7 have to have 100,000 animals in a study to see one case. Well,
8 you got have more than that to be able to actually see and know
9 that this is an effect and it's not an anomaly that occurred.

10 So you're talking about you would have to actually
11 have millions of animals. You know, this is just not feasible.
12 You can't afford it. How would you feed a million rats? You
13 know, the logistics of it are not there. So you give them high
14 doses to try to see an effect and then you kind of see -- do the
15 best you can to see what happens at lower doses.

16 Of interest to us, because of leukemia, is benzene.
17 The levels that we know something about -- on the far end we have
18 outdoor levels at about six, and the national exposure has been
19 estimated to be around 15. At Kelly we had about 20. The same
20 smoky bar that they did some testing in was at 30. ATSDR has
21 come up with a safe interim level. This is not a firm level, but
22 32 being at a safe level, and a hazard level of 320. We use that
23 hazard level because this is where health effects started
24 occurring at.

25 Now, let's take a look at what that means. This 320

RAB 11/09/04

1 was found in occupational studies. All right. Typically workers
2 are the healthiest segment of the population. So, if we have
3 something occurring in them, someone else might be more
4 susceptible. It's not always true, but that's a good indicator.

5 Also, this is based on leukemia mortality. In
6 looking back at these occupational studies, these people died of
7 leukemia. They were exposed to these levels of benzene, and this
8 is the lowest level.

9 So, what happens, you know, at levels lower than
10 this? Do people have effects that did not result in mortality?
11 Well, we don't really know what happened in that because I didn't
12 look at it. The only thing that can tell about the past is to go
13 back and look at the mortality.

14 So, what happens between this 32 and 320, we're not
15 sure about. In any event, you always have to look toward what
16 kind of health effects might be in the community because that's
17 the true test of it all.

18 In butadiene comparison, these levels were -- for
19 suburban levels, less than one. For urban levels, about two. In
20 this same smoky bar, they were about 11. At Kelly they were
21 about 20.

22 Around come petrochemical areas -- and I believe this
23 was Houston -- they were -- in the neighborhoods they were like
24 310, and health effects start at 2200, which is a high number.
25 But we also know very -- a lot less about benzene than we do

RAB 11/09/04

1 about -- I mean, butadiene than we do benzene.

2 So even though there's a lot of gap in between there,
3 we don't have a lot of studies to show up in there that give --
4 let us lower this number anymore.

5 Okay. Now, there's a couple ways we look at risks
6 that Brian was talking about. We can look at risks from the
7 individual contaminant level or we can look at risk from
8 accumulative level. What we try to do in a screening process is
9 look at the accumulative level to see the comparison we have.

10 So, I'll let Brian talk to you about how we arrived
11 and what these numbers mean because this record -- this was
12 converted from concentrations into an accumulative -- his looking
13 at all of the chemicals that he found in the air emissions.

14 MR. BRIAN KAPLAN: Now, you remember that slide I
15 showed up there with the different grid points, where we
16 calculated the concentration of each one of those grids? Well,
17 for each one of those grids we took the concentration. And for
18 that one particular maximum we calculated a cancer risk for
19 benzene, butadiene, and formaldehyde.

20 Well, we calculated that risk for each one of those
21 grid dots and summed all those risks together. We did
22 accumulative risk, and then we connected the dots. We connected
23 dots that had similar risk numbers. I'm only showing a couple
24 different lines. And I broke it down by aircraft and stationary
25 or industrial sources. This particular line represents all the

RAB 11/09/04

1 dots I connected. They represent risks of 1 times 10 to the
2 minus 4, or what that means is one in 10,000. One additional
3 risk cancer case in 10,000. That's for aircraft, and this is for
4 industrial.

5 What it quickly shows is that under our modeling
6 scenarios and assumptions that the aircraft was the primary
7 source of concern for air emissions historically.

8 Now, for industrial. I believe is the hydrazine
9 area. This, I believe, is the jet testing area. This, I
10 believe, is the degreasing operation for tetrachloroethylene.
11 This, I believe, is a painting operation. But we quickly saw
12 that the aircraft was the major player of concern when we're
13 looking at releases to air to off-base populations.

14 The slide also shows zip codes in the gray boxes with
15 the numbers. Because we wanted to show in the health studies
16 that have been released today, they always talk about zip codes.
17 What were the elevated risks of leukemia incidents or mortality
18 in those zip codes? So, it overlays zip codes 78227, 78237, a
19 little bit of 78238, and 78228, and down here also, 78242 and
20 78211.

21 The point being is that if we're going to look at
22 health outcome data, we need to look at it from a north and south
23 elongated perspective. A lot of studies they'll just take a mild
24 buffer, a five-mile buffer. Well, if we do that, we're going to
25 take populations that weren't at as high a risk as people living

RAB 11/09/04

1 north and south of the base.

2 This picture also shows -- this picture is from 1995.
3 We recently obtained pictures from aerial photographs from the, I
4 think, early 60's, 50's to '74. So we want to look at that and
5 see who's living here in different timeframes to see who's going
6 to be exposed.

7 All righty. You can see --

8 MR. WILKINSON: (inaudible)

9 MR. BRIAN KAPLAN: Can you hold that question. We're
10 almost done.

11 I can see areas that there's no residential
12 populations here, here, and here.

13 This represents the accumulative risks from
14 butadiene, benzene, and formaldehyde. Now, the health outcome
15 data show elevated incidences of leukemia. Of those three
16 chemicals, benzene and butadiene are said to contribute as risk
17 factors.

18 DR. DAVID FOWLER: If I can comment on that. Benzene
19 is a known leukemogen. It causes leukemia in high
20 concentrations.

21 Butadiene is an animal carcinogen. We're not really
22 sure about humans, but there are some studies that have
23 associated butadiene with leukemia and lymphomas also.

24 So what we have done to kind of -- to put things
25 together, we like for things to either have the same mechanism of

RAB 11/09/04

1 action or same mode of actions, but we usually don't have enough
2 information to tell all about that. So we look at target organs
3 that are effected. And if the same target organs are effected,
4 then we lump those together and look at those as a whole.

5 I believe in Brian's next slide it shows how he
6 looked at benzene and butadiene compared to background.

7 One other note while we're here is, formaldehyde.
8 While it was present in the highest concentrations, we didn't see
9 in the health outcome data, the health effects, that might be
10 attributed to it. At least -- there's some controversy about
11 formaldehyde, but the -- generally it causes cancers where it
12 comes into contact with natural mucosa or a lung, you know,
13 inhalation types of things. It happens right there. It's a
14 normal constituent of the body also.

15 There are some reports of some leukemia in morticians
16 and medical workers, but their exposures were different because
17 they have some dermal exposure too and they're exposed to some
18 other things. And there's not a biological plausibility to show
19 how that may have happened yet. So we don't consider it the same
20 as benzene and butadiene in this case.

21 MR. BRIAN KAPLAN: So, the previous slides show the
22 accumulative cancer risk from benzene, butadiene, formaldehyde.
23 For this particular slide, we just wanted to show the cancer risk
24 from benzene and butadiene which are -- which is two chemicals
25 that contribute to leukemia, which has been identified as

RAB 11/09/04

1 elevated north of the base. So we entered those risks from --
2 cancer risks from benzene and butadiene.

3 We also wanted to somehow take into consideration
4 background concentrations. Now, we can't go back in the 60s and
5 70s and pull air monitor samples because they didn't exist.
6 However, for the last six or eight years, there's been an air
7 toxic monitor on the east side of San Antonio. So, I pulled
8 those numbers and I calculated a cancer risk that is being
9 monitored currently for benzene and butadiene. And that current
10 background risk is about one in 100,000; one additional cancer
11 case in a population of 100,000.

12 I took that number and I subtracted that from the
13 risk numbers that are our model is saying is attributed to
14 aircraft operations from Kelly, and that's what this line
15 represents. What it's saying is that everything inside this
16 line, risk-wise, is above background. Again, it's important to
17 note what zip codes this background risk is showing. Several to
18 the north and one or two to the south.

19 David, did you want to ...

20 DR. DAVID FOWLER: One thing to know is benzene and
21 butadiene are ubiquitous in the environment because of all the
22 exhaust and other fuel burning. You have a lot of that, so we
23 wanted to look at -- we don't know how much was in the
24 environment to see how much came just from Kelly and not the
25 whole thing.

RAB 11/09/04

1 MR. BRIAN KAPLAN: Yeah. We're also doing a temporal
2 disconnect. We're looking at background concentrations collected
3 in last six or seven years versus our trying to do past exposures
4 in the 60s and 70s for Kelly. Cars have become cleaner over the
5 years. Benzene in gasoline has been reduced. There's been --
6 there's more cars now than there were in the past, but the cars
7 back then were less clean burning. So it's really hard to
8 discern how that temporal disconnect falls out. But, again, it
9 gives you some general idea what above background is.

10 DR. DAVID FOWLER: Okay. On the findings, to summarize
11 those. The exposure to the individual chemicals, that's each one
12 by itself, is not likely to result in health effects. As you saw
13 from the graphs, the bar graphs, the levels at which health
14 effects occur are much higher than the levels that were at Kelly.
15 However, we don't know about a lot of that middle ground in there
16 to other populations. Also, we don't know what exposure to the
17 mixture would be. We call that "indeterminate," and I'll explain
18 why in just a second.

19 The other conclusions were that there's not enough
20 information on (inaudible) chromium before 1990 on misting or
21 incineration. We didn't have data on that to evaluate.

22 Now, what I mean by "indeterminate" is we're not
23 making a call on that because we don't have enough data. The
24 data that we have we're not that sure about. We don't have data,
25 for instance, on misting. You know, so we don't have a complete

RAB 11/09/04

1 picture of that. We don't know that some of the data that we
2 found and we used is correct. We don't know that the -- it's a
3 good thing to use the B-52 as the worse case. We don't know that
4 this is the worse case. We think it is, and that's the way we
5 constructed this to look at it as the worse case.

6 The exposure we're not sure about because we've
7 calculated the cause of the model on a 24-hour annual average.
8 Well, we know that's probably not how it occurred. Most of the
9 flights were going to occur, for instance, we think, you know,
10 during daylight hours. Maybe during week days versus weekends.
11 And we -- to compare this annual average, it's spread out over 24
12 hours.

13 So the way that exposure occurs might be different.
14 There's some indication that there's not just the duration of
15 exposure that contributes to toxicity. Sometimes if you have
16 higher levels for a shorter period of time, it seems to have an
17 effect on some of these.

18 We're not sure about some of the toxicology because
19 we don't know what happens when you get below levels where health
20 effects have been reported at. We know where some safe levels
21 are where they've never been reported. But in that grey area, no
22 one can say about any particular individual. It's just, you
23 know, in an area of increase.

24 We don't know about, like, the epidemiology.
25 Epidemiology talks about associations, an association between

RAB 11/09/04

1 benzene and leukemia. It doesn't talk about cause and effect and
2 it doesn't show cause and effect.

3 So, there are things we're not sure about. But what
4 we've decided to do -- even if we found that levels were very,
5 very high, what would be the next that we did? The next that we
6 did would be to look to see if we had health effects in the
7 exposed population. Now, these were expected health effects. In
8 other words, for benzene we would be looking for leukemia. For
9 other things we might -- for chromium, we might be looking for
10 lung cancer.

11 So, we looked to see, are there health effects?
12 Because that's always the defining criteria of an exposure. If
13 it's high enough, were there health effects from it.

14 So our next slide, our recommendation is to
15 investigate the elevated leukemia outcome. They're currently
16 doing this and they've split out their investigation from cancer
17 incidents and they also have reports on leukemia.

18 Now, at our next meeting we have to bring all these
19 people together and go from the initial petition, what all has
20 happened with it, and whose done what in the community and within
21 the state and with ATSDR. So, we want to recap all those events.
22 There will also be an update on the East Kelly Health Assessment
23 and an update on the Health Outcome Data.

24 We have a few documents over here, if anybody would
25 like those. And I think the public comment period ends the 30th

RAB 11/09/04

1 of November. So you need to have comments, you need to write
2 those comments into us.

3 We thank you.

4 DR. DAVID SMITH: Thank you, sir. The vision here is
5 that we'll have an opportunity to respond to any questions that
6 can be responded to. We need to talk a little bit about when
7 that next meeting is going to be, as I understand that. And
8 also, to raise any additional questions that might want to be
9 raised.

10 What I'm going to ask you to do, though, is if you
11 all are willing, we've been -- RAB members at least have been
12 sitting still an awful long time.

13 Would you suggest a break?

14 MR. SILVAS: Yes. Let's take a break and we'll come
15 back and ask some questions.

16 DR. DAVID SMITH: Ten minutes or so?

17 MR. SILVAS: Ten minutes.

18 DR. DAVID SMITH: About a 10-minute break, please, and
19 then we'll come back and answer questions.

20 (BREAK)

21 DR. DAVID SMITH: Okay, if I can get everyone settled
22 in, we'll get started, please.

23 We are at that point on the agenda where we're going
24 to try to be responsive as much as possible to questions that
25 have already been asked; those ones on the board that didn't come

RAB 11/09/04

1 and then we'll pick up the new ones, if that's all right with
2 you.

3 Tim, would you be willing to kind of read the
4 question for us since it was....

5 MR. SULTENFUSS: Does the ATSDR find any connection
6 between the health problems in the community and the chemicals
7 used on the base?

8 DR. DAVID FOWLER: We've just been through all this.
9 Did anybody answer that?

10 MR. WILKINSON: I believe your chart showed it did.

11 DR. DAVID SMITH: Okay.

12 MS. ROBYN THOMPSON: How many times has ATSDR agreed
13 with the community rather than federal facility, agency, industry
14 or corporation?

15 MR. WILKINSON: Which side of the fence are you on?

16 MR. BRIAN KAPLAN: That's one I can't answer.

17 DR. DAVID SMITH: Can't answer? Okay.

18 MR. SULTENFUSS: Why does ATSDR make conclusions
19 without sufficient data?

20 DR. DAVID FOWLER: If you waited until you had
21 everything, you might never have one. So, we bring what we know,
22 the data used, and what we can decide about that to you. If
23 there's not enough data to make the call, we call it
24 indeterminate.

25 DR. DAVID SMITH: Thank you. Next question.

RAB 11/09/04

1 MS. ROBYN THOMPSON: I don't know if this is
2 necessarily directed to you, but why are you not destroying the
3 chemicals?

4 DR. DAVID FOWLER: I can't answer that.

5 DR. DAVID SMITH: All right. We'll save that one.

6 MR. SULTENFUSS: Are the capped wells leaking?

7 DR. DAVID FOWLER: I can't answer that.

8 DR. DAVID SMITH: Okay.

9 MR. SULTENFUSS: Is the Air Force going to address the
10 smell near my house near the old fuel tanks?

11 DR. DAVID FOWLER: I feel sure they will.

12 MR. WILLIAM RYAN: Yes. I mean, if we have the name
13 and the address of the lady who made that comment, we'll get in
14 touch with her and see what we can do.

15 DR. DAVID SMITH: I don't know if you all can hear
16 that. Mr. Ryan's comment was if you give him your name and
17 address, he will follow that up for us.

18 Yes. Another question?

19 MS. ROBYN THOMPSON: What is ATSDR's community
20 involvement plan?

21 DR. DAVID FOWLER: We have our community involvement
22 specialist here. She might recap some of the things we've done
23 since -- for the last eight years or so.

24 MS. TERAN-MacIVER: First thing that we did with the
25 community is to have a session to ask for community concerns, so

RAB 11/09/04

1 that we had those up front when we went to do our study and
2 looked at the data. When we look at data -- when we look to do a
3 public health assessment, we look at three types of data. First,
4 is the environmental data. Second, is the community concerns.
5 And third, is health outcome data to see if there's any diseases
6 in the community.

7 Also, we have held community education programs, we
8 have held nursing and doctor education programs, and we've also
9 had meet meetings in which we had facts sheets to tell the people
10 our results. And we've also invited the community to help us to
11 plan the meetings, and that's one of the reasons why I want to
12 know from the community tonight whether they would rather that we
13 had that meeting in December, 14th or the 15th, or have it in
14 January. So...

15 MR. WILKINSON: December.

16 MS. TERAN-MacIVER: I have one December. Does anybody
17 else have any ideas? The reason I ask is because in December a
18 lot of people are doing things with Christmas, and so I'd like to
19 hear from the community whether or not they'd like to have a
20 meeting in December.

21 MR. SILVAS: I think before we leave here tonight we'll
22 come to a decision on that, but December would probably be a good
23 timeframe.

24 MS. TERAN-MacIVER: Okay. All right. So, that's some
25 of the things that we do in community involvement.

RAB 11/09/04

1 DR. DAVID SMITH: Thank you, ma'am.

2 MR. SULTENFUSS: Why does ATSDR not involve communities
3 in developing this assessment?

4 DR. DAVID FOWLER: We did.

5 MS. ROBYN THOMPSON: Is there a connection to the
6 chemical and workers health? Were workers' symptoms similar to
7 community members' symptoms?

8 DR. DAVID FOWLER: We don't address things are under
9 the purview or OSHA or NIOSH. So workers are not really our
10 thing. We did look at some on-base issues, not for the workers,
11 but to other personnel who may have been on base that may not be
12 protected by OSHA or NIOSH.

13 DR. DAVID SMITH: Okay. Thank you.

14 MR. SULTENFUSS: From Ms. Galvan. Is ATSDR going to do
15 a study on the past Kelly workers and what happened with that?

16 DR. DAVID FOWLER: There was a mortality study that was
17 done. ATSDR did not do it. I'm not familiar with it enough to
18 comment.

19 MR. WILKINSON: Excuse me. Can you give me specific
20 names of these people who are in charge of this so we can get
21 ahold of them so they can answer the questions instead of they --
22 because all I've heard since 1984 is, they killed you. I want
23 the name of the person that killed me.

24 DR. DAVID FOWLER: I'm not quite sure what the question
25 is.

RAB 11/09/04

1 MR. WILKINSON: They always say, they.

2 DR. DAVID FOWLER: Maybe if you could write it down.

3 MR. WILKINSON: You do not specifically say a person.

4 You say "they," and "they" is the whole world. You're not --
5 you're not giving me --

6 DR. DAVID FOWLER: Maybe if you could write it down we
7 could get somebody to respond to it. I can't.

8 MR. WILKINSON: You write the names down --

9 DR. DAVID FOWLER: I can't respond to it.

10 MR. WILKINSON: Yeah, I know. You're covering up.

11 MR. SULTENFUSS: Is there any other discuss on that
12 question?

13 The next question: Did ATSDR survey the workers to
14 find out their health problems and the chemicals they worked
15 with?

16 DR. DAVID FOWLER: No. We don't do things under the
17 purview OSHA or NIOSH.

18 DR. DAVID SMITH: That apparently is a boundary that I
19 think is helpful for people to understand, that ATSDR does not
20 address OSHA or NIOSH.

21 MS. ROBYN THOMPSON: Who pays for ATSDR?

22 MR. MUZQUIZ: Who pays for the studies, in other words?

23 MS. ABBI POWER: I can help you on that one.

24 DR. DAVID FOWLER: Federal Government.

25 MR. MUZQUIZ: Is it the DOD, is it the Department of

RAB 11/09/04

1 Air Force?

2 DR. DAVID FOWLER: We're under the health and human
3 services.

4 MR. WILKINSON: Texas? United States?

5 DR. DAVID FOWLER: You know, their budgeting process, I
6 don't know.

7 MR. WILKINSON: Texas? United States? Which?

8 DR. DAVID FOWLER: The United States Government.

9 MS. ROBYN THOMPSON: Will it take five years to release
10 the final draft of this report?

11 DR. DAVID FOWLER: I hope not.

12 DR. DAVID SMITH: Okay, let us see if we can get some
13 other questions on the list here.

14 Mr. Quintanilla will you...

15 DR. DAVID FOWLER: I think what you need to do with the
16 questions -- we're not going to be able to answer questions
17 unless they're pertaining to the technical past air emissions.
18 You're going to have to field those questions for someone else.
19 As we said in the meeting we're coming back to, we'll have
20 management representatives, people like that for you to talk to.
21 But I can't answer questions for other divisions and management
22 and other people that -- you know, I just don't know. This is
23 just a technical thing on past air emissions.

24 MR. SILVAS: Well, can we just try and go ahead and
25 answer what we can tonight and whatever's not, we'll carry that

RAB 11/09/04

1 to the next meeting?

2 DR. DAVID FOWLER: Well, if they're about past air
3 emissions --

4 MR. SILVAS: Correct. Correct.

5 DR. DAVID FOWLER: -- sure.

6 MR. SILVAS: Open it up for questions.

7 MR. QUINTANILLA: I have one question. I don't feel --
8 we've been at this for a large number of years and we've burned a
9 lot of tax dollars and a lot of time, both professional plus our
10 time. We have a lot of professionals here that come in and
11 listen to this and we don't have any good conclusions, and the
12 reason is insufficient data.

13 This question is to Mr. Ryan and I have several other
14 questions that will follow that. Mr. Ryan, is there any more air
15 emission information in your area that you can give them that may
16 help us put this thing to bed, the past emission air studies to
17 bed? Do they have all the information that you have or is there
18 any other information there left?

19 MR. WILLIAM RYAN: Mr. Quintanilla, you saw the
20 acknowledgments at the beginning of the briefing that named some
21 of the folks who helped put together that data. They were quite
22 diligent but, you know, we were more than willing to take another
23 look and see if there's any data gaps that we can fill.

24 MR. QUINTANILLA: That is relevant.

25 MR. WILLIAM RYAN: Sure. Right. I know. Specific to

RAB 11/09/04

1 these topics.

2 DR. DAVID FOWLER: If I can comment. What we have done
3 is take the next step anyway. So other data, you know, is not
4 going to change that. Yes, we want to look further at elevated
5 leukemia.

6 MR. SILVAS: I'd like to add something to
7 Mr. Quintanilla's question regarding information. Was there
8 anything that was held back due to classification, being
9 classified?

10 DR. DAVID FOWLER: No, not to my knowledge.

11 MR. WILKINSON: I have a question.

12 DR. DAVID SMITH: Just a second please.

13 MR. SILVAS: Mr. Quintanilla -- or Mr. Wilkinson?

14 MR. WILKINSON: When the military -- when the men and
15 women started working together and they took off the draft, women
16 were working on the lines cleaning and working on jets, cleaning,
17 going inside, looking at fans and stuff. When they became
18 pregnant, they were pulled, immediately pulled off the jet line.
19 If they became pregnant and did not tell the military, they were
20 dishonorably discharged. This is due to the fact that the J-4
21 fuels were causing mental retardation. Why don't you use that as
22 a statistical study?

23 DR. DAVID FOWLER: I'm not aware of that. If you could
24 perhaps give us the data on that and we will be happy to look at
25 it.

RAB 11/09/04

1 MR. WILKINSON: Why don't you ask the DOD why they
2 pulled female women off the lines.

3 DR. DAVID FOWLER: Actually, I guess, that would be
4 under purview of NIOSH or OSHA.

5 MR. SILVAS: Mr. Quintanilla?

6 MR. QUINTANILLA: Yeah, the next question that we have,
7 we heard, you know, from ATSDR. And I guess our next job is to
8 get someone, an independent study, to look at what they've got
9 and let them make some suggestions. And I'm talking about using
10 our TAPP money. I think we already set some aside for this
11 particular thing, look at this thing and find out what is needed.
12 Maybe they know what information is needed, the University of
13 Maryland, you know. And then put it to bed, you know, that's it.
14 Forget about the air emissions. But we need to -- you know, to
15 wait four or five years for this air emission study and then not
16 have enough data to be gathered in those four years for them to
17 come up with something, that's a shame. That's a waste of tax
18 dollars.

19 MR. SILVAS: I agree.

20 MR. WILKINSON: Big stall tactic.

21 MR. SILVAS: Rodrigo, question?

22 MR. GARCIA: I agree with Mr. Quintanilla. There's
23 still too many questions that are unanswered concerning health
24 effects, respiratory problems, as well as the things that you
25 mentioned. You say that these health problems are indeterminate

RAB 11/09/04

1 and yet you show us maps that show us if you live in a red zone,
2 you're probably susceptible to this, this, leukemia, and all
3 this. I happen to live in one of those red zones and I see -- on
4 38th street -- and I see I am in there. And then I realize --
5 and they say health problems are indeterminate. That is wrong.
6 We need to be more specific and do more detailed research on
7 this. Air pollution causes health problems. There's no doubt
8 about it. It's recorded and we need to tie it in and get some
9 very specific work down. We need to get records.

10 Did you study the first Texas Air Study in 1952?
11 What did that say about air pollution? Also, the Clear Air Act
12 was passed in 1963. Did you study all the violations that Kelly
13 had on the Clear Air Act, the changes to the Clean Air Act and
14 the Ambient Air Program of 1971? Where did all these violations
15 happen? Did you get all the Air Force records on air pollution
16 and air emissions? Did you get all the EPA from Mr. Miller? Did
17 you get all the EPA records of air emissions and air violations
18 that Kelly might have? And from the state, and everybody else,
19 did you get any studies from the Air Force on their employees
20 that got sick or got retired early because they had health
21 problems from working at Kelly?

22 There are too many questions that have to be asked,
23 too many reports, and too much investigation that has to be done
24 before you or anybody else can say these health problems are
25 indeterminate. I am very strong on this because my father died

RAB 11/09/04

1 of cancer and he worked over here too. My mother died of cancer
2 also. She worked at Lackland. I'm positive that Kelly has
3 something to with them getting that cancer. And I am not going
4 to rest until we get somebody that does a real study on these
5 health problems and not tell us they're indeterminate. There's
6 too much research to be done, too much records to be looked at,
7 too much health records that the Air Force might have on their
8 employees that got sick while working, too much studies on air
9 pollutions and air emissions that they have that they probably
10 didn't give you.

11 I'm sick of this. We can't put this to rest until we
12 get some positive answers and get some real results of what this
13 is doing to human beings.

14 DR. DAVID FOWLER: Well, we hope that when we pull
15 everything together in the final thing, people will be there that
16 can answer your questions.

17 MR. SILVAS: Mr. Ryan, are there any Air Force thoughts
18 about further studies?

19 MR. WILLIAM RYAN: Well, I think -- I mean, I think
20 we've -- as I mentioned to Mr. Quintanilla, we gave all the
21 information that we have related to these emissions and emission
22 sources. And, you know, we can check again and recheck, but we
23 can only provide what we have. As you know, I mean, early in the
24 70s and 60s, you know, air emissions were -- the air program was
25 first developing and we did what we needed to do as an industry

RAB 11/09/04

1 to comply with those the requirements. But the records, you
2 know, back in the 60s, you know, just may not exist.

3 MR. GONZALES: I have a question, if I may. May I ask
4 my question now? I just have a question, sir. Has the -- has
5 the ATSDR done any studies on other bases that closed or air
6 studies, past air emission studies, at other bases that they have
7 been able to conclude conclusively that there were problems
8 generated from past air emissions or that there conclusively were
9 not problems as the result of past air emissions?

10 DR. DAVID FOWLER: I don't know of all the things they
11 looked at. To my knowledge, this was the first base where we
12 reconstructed past air emissions.

13 MR. GONZALES: Okay. Thank you.

14 MS. ROBYN THOMPSON: Mr. Garcia has another question.
15 Are there going to be any future studies?

16 MR. WILKINSON: Can I ask a question? There is an
17 incinerator and they were using it to burn cyanide with it. Can
18 we get the specifications from the manufacturers of that
19 incinerator to see if that incinerator was qualified to burn off
20 cyanide at that temperature?

21 MR. SILVAS: Yeah, that is a question that I was about
22 to ask, and that there was regarding the incinerator. Because
23 looking back on the December notes for a meeting, you had
24 mentioned that -- in our meeting that was an incinerator used for
25 about a year timeframe. Is that correct?

RAB 11/09/04

1 DR. DAVID FOWLER: Yes.

2 MR. SILVAS: Well, Mr. Ryan stated on the minutes from
3 that December meeting that it was in operation for probably three
4 to four years. And I think that this incinerator is an issue
5 because it doesn't seem to be getting addressed in the matter
6 that it needs to.

7 The TCEQ -- we brought that up and it wasn't properly
8 addressed. They said that it didn't happen; they didn't get into
9 the in-depth study that was required. After a TAPP review was
10 done by Mr. Lynch, concern came up about that incinerator, and
11 the plume and the winds of that plume that were never followed up
12 and studied. I think we need to look into that further. And if
13 Mr. Ryan can go back and look up the specks, the company, and
14 forward that information to you, I think that would be a help in
15 reviewing and going over it again because there's things in here
16 that are lacking and the incinerator is one.

17 The other one would be the benzpyrene that I had
18 asked you about earlier. And again, would you explain that to,
19 not just myself, but to the members here that polyaromatic
20 hydrocarbons and the benzpyrene is from a fuel that's unburned.

21 DR. DAVID FOWLER: No, it's from burned fuel.

22 MR. SILVAS: It's burned?

23 DR. DAVID FOWLER: They can come from any type of
24 combustion of organic material. PAHs will be a by product. When
25 you grill a steak --

RAB 11/09/04

1 MR. SILVAS: All right. Well, not too many steaks are
2 grilled out on the base. And when we found levels above safety
3 work standards, that was a concern. And I don't know why it
4 hasn't been addressed in your study when it should. I mean --

5 DR. DAVID FOWLER: Well, that was a known on-base thing
6 and it was a soil contamination. Is that correct?

7 MR. SILVAS: If it's a soil, though -- that's
8 correct -- however, it does come from a fuel. I mean, if it's
9 airborne, then it ends up in the ground. That doesn't change the
10 fact that it came from an engine.

11 DR. DAVID FOWLER: But there may have been a lot of
12 activities where they burned organic material and left PAHs
13 there, but that's an on-base thing. This is not going off base
14 in the community.

15 MR. WILKINSON: How many pounds of unburned fuel are
16 laying on Kelly Air Force Base?

17 MR. SILVAS: Anymore questions from the members?

18 MR. GONZALES: I just have one follow-up question that
19 might be helpful to me. In the other base closures that -- this
20 is a follow-up question to the original question I had -- would
21 you be in a position to direct me to other bases that would be of
22 interest to us regarding past air emissions that might be --
23 offer some correlation to what activity was going on here at
24 Kelly?

25 DR. DAVID FOWLER: Right. We have a Federal Facilities

RAB 11/09/04

1 Assessment Program and they generally do all the bases. The
2 reason that -- Kelly started there, but I was initially doing the
3 Kelly PHA and I left to go to another job. And because I was
4 that involved in it, they asked me to take that with me. But
5 Federal Facilities Assessment branch handles all federal
6 facilities.

7 MR. GONZALES: So if I check with them, then they can
8 direct me to other -- what is it? Federal Facilities Assessment
9 Branch?

10 DR. DAVID FOWLER: Right. They can give you -- ATSDR's
11 main number is an 800 number. I can give you that and you can
12 call them and they can direct you to it.

13 MR. GONZALES: Okay. Thank you.

14 DR. DAVID FOWLER: Or it's on the web.

15 MR. GONZALES: Thank you.

16 MR. GARCIA: Robert, you mentioned in incinerator, but
17 how about other air emissions caused by fumes and vapors? There
18 were other things besides the incinerators that should have been
19 going to past air emissions. One was fumes and vapors from the
20 emission shop -- from the paint shop, from the massive jet
21 engine -- test engine testing facility on the south end of the
22 runway across on Military Drive. How about the bad air emissions
23 from there?

24 The plating shop? The paint shop?

25 DR. DAVID FOWLER: Those were --

RAB 11/09/04

1 MR. GARCIA: All these other facilities have now been
2 turned down. What were their air emissions and how were their
3 dangerous past air emissions? How did they contribute to this
4 air pollution too? That, I believe, was or was not addressed in
5 your report?

6 DR. DAVID FOWLER: That was addressed. They were
7 stationary emission sources.

8 MR. SILVAS: How far back are those records?

9 MR. GARCIA: Each individual facility that I mentioned
10 or just as a general note? And how far back did you study this?

11 DR. DAVID FOWLER: All of the ones that you mentioned
12 from my recollection were stationary emission sources.

13 MR. GARCIA: Did you itemize each one and how far back
14 did you study them?

15 DR. DAVID FOWLER: They -- I think Brian has already
16 presented the information and it's in the document. I don't
17 remember how far back it was.

18 MR. BRIAN KAPLAN: If you look in appendix B of the
19 report, it lists the documents and the emissions amounts and the
20 chemicals that were emitted.

21 And as far as what the emission rates were, they came
22 from those studies that I mentioned. There were a series of
23 three studies that the Air Force commissioned, and they looked at
24 basically all periods, all time periods, but they -- based on the
25 data, the best estimates were from '70 to '75 and --

RAB 11/09/04

1 MS. GALVAN: I have a question.

2 DR. DAVID SMITH: Just a second. We have a gentleman
3 standing in the back here, then we'll come back to you. Thank
4 you.

5 UNIDENTIFIED SPEAKER: I have two questions about the
6 air monitoring for the air modeling stuff. On the data sources
7 for hexavalent chromium, is that -- does it look like there's not
8 going to -- they're basically not going to appear or are there
9 some possibilities that you're following up on?

10 DR. DAVID FOWLER: What we recommended was either find
11 them from another source, another base, or whatever. So either
12 the Air Force would do a study on that or include it in the
13 mortality study, the plausible outcomes.

14 UNIDENTIFIED SPEAKER: So, possibly use data from
15 another base, is that what you're saying? Okay.

16 And the other thing was, what's your confidence in
17 the modeling results? Do you have any kind of environmental data
18 that validates it or are the conditions around the base -- do
19 they suggest that it's a valid model to use, that you'll obtain
20 valid results? Basically, what's your confidence in the model
21 output?

22 MR. BRIAN KAPLAN: We don't have any measure of our
23 uncertainty. So it's more of a subjective observation that I
24 would have. I would say that using the B-52 with that 336,000
25 operations per year, since that is the worse burning airplane out

RAB 11/09/04

1 there, that we pretty much captured the worse risk.

2 UNIDENTIFIED SPEAKER: Seems like I heard something
3 about airports not measuring that high levels. What does that
4 suggest to you? New information or --

5 MR. BRIAN KAPLAN: There's been a number of studies
6 done around the country. O'Hare Airport in Chicago; Midway in
7 Chicago; LAX, which I think is just starting; Seattle's airport;
8 Tacoma, I think that's just starting. There was a study done in
9 Santa Monica, I believe.

10 And as part of our process for generating our
11 documents, there is a predraft that we give the Air Force to
12 verify that the data we're using is correct. And when they first
13 saw our numbers, they went to Dallas Airport monitoring station,
14 which is near the end of the runway in Dallas. And my first
15 ideas were, the air monitor only runs once out of every six days,
16 so it may not necessarily really capture.

17 They basically saw non-detects, I think, for
18 butadiene, whereas we're estimating 20 micrograms per cubic
19 meter. The planes are much cleaner burning today than they were
20 before, so it's really hard to compare monitoring today than it
21 is in the past.

22 I don't know if that -- I bounced around with
23 answering that.

24 UNIDENTIFIED SPEAKER: But at least you feel reasonably
25 confident. It sounds like you have better conservative

RAB 11/09/04

1 estimates, not necessarily middle of the road.

2 DR. DAVID FOWLER: Well, we also looked at F-16's and
3 we sort of averaged F-16s with the B-52, also to try to get
4 middle of the road. But for our B-52, which we base some of the
5 risk numbers on, it's very conservative.

6 UNIDENTIFIED SPEAKER: If a person wants more health
7 projected-type estimates, they go with B-52 model results. If
8 they wanted more moderate estimates of the exposure, it might be
9 F-16.

10 MR. BRIAN KAPLAN: F-16, which is only one engine. But
11 it is interesting that the F-16 does emit formaldehyde overall
12 more than the B-52.

13 UNIDENTIFIED SPEAKER: Thank you.

14 DR. DAVID SMITH: Ms. Galvan?

15 MS. GALVAN: Yes. I wanted to ask Mr. Fowler a
16 question. A little while ago you mentioned that this air
17 modeling was the first type of this kind to be used. Is it in
18 Texas or the United States?

19 MR. BRIAN KAPLAN: That was by our agency. It was the
20 first time we tried to reconstruct for ATSDR.

21 MS. GALVAN: Right.

22 MR. BRIAN KAPLAN: It isn't the first of its kind in
23 the country.

24 MS. GALVAN: Okay. So it's the first kind in Texas or
25 San Antonio?

RAB 11/09/04

1 MR. BRIAN KAPLAN: Probably San Antonio, my guess.
2 Probably for an Air Force base.

3 MS. GALVAN: So there has been another base who has
4 used this similar model?

5 MR. BRIAN KAPLAN: Not another base. From what I found
6 in literature, the Midway Airport in Chicago was one that -- it
7 was an air study of Southwest Chicago, which included Midway
8 Airport.

9 MS. GALVAN: Can we find this study?

10 MR. BRIAN KAPLAN: I'd be glad to make -- I have a copy
11 of it and I'll be glad to get you a copy of it.

12 MS. GALVAN: Okay.

13 MR. GONZALES: Mr. Quintanilla, do you know what the
14 findings were on that? I mean, what did they conclude or was
15 there any conclusion reached?

16 MR. QUINTANILLA: Yes, I think I have -- we want to
17 look at charts 25 and 26. Those are the charts that -- or slides
18 that talked about the butadiene and the benzene.

19 MR. BRIAN KAPLAN: Can I see that?

20 MR. QUINTANILLA: Sure.

21 MR. BRIAN KAPLAN: I don't have all the details in my
22 mind, but off-base -- off airport, residential population from
23 aircraft, the risk was about one in 10,000. And that was for
24 1990. And they had about, I want to say, 130 take-offs and
25 landings.

RAB 11/09/04

1 Interesting -- more interesting is that the
2 automobile exhaust presented a higher risk than the aircraft.

3 MR. QUINTANILLA: All right. But, you know, there you
4 have benzene in that slide there. Is that what you're showing in
5 the neighborhood areas?

6 MR. BRIAN KAPLAN: This slide represents the combined
7 risk from butadiene, benzene, and formaldehyde.

8 DR. DAVID FOWLER: All together.

9 MR. BRIAN KAPLAN: All together. We summed them all
10 together to get accumulative cancer risk and we separated out the
11 aircraft from the -- no, the aircraft -- let me correct myself.
12 The aircraft represents benzene, butadiene, and formaldehyde.
13 The stationary sources represent all the chemicals that we
14 modeled.

15 MR. QUINTANILLA: Now, butadiene, that causes leukemia,
16 and we have a leukemia problem, perhaps, in that area.

17 DR. DAVID FOWLER: Benzene.

18 MR. QUINTANILLA: Benzene. Okay. Let's go to Chart 26
19 then.

20 MR. BRIAN KAPLAN: I think benzene was also -- can be a
21 contributor to leukemia.

22 DR. DAVID FOWLER: Association, not cause.

23 MR. QUINTANILLA: I beg your pardon, sir?

24 MS. GALVAN: Association.

25 DR. DAVID FOWLER: Association. Not cause and effect.

RAB 11/09/04

1 It's just been associated.

2 MR. BRIAN KAPLAN: For epidemiological studies or
3 worker studies or both?

4 DR. DAVID FOWLER: (inaudible)

5 MR. BRIAN KAPLAN: So the association between butadiene
6 and leukemia in epidemiological studies of workers. But there's
7 not toxicological mechanism that has been identified?

8 DR. DAVID FOWLER: Well, not thoroughly. It's been
9 started. They know some of the mechanisms, but they don't know
10 the whole (inaudible) of it.

11 MR. QUINTANILLA: Do we know the extent of leukemia in
12 those areas there, in those boundaries?

13 DR. DAVID FOWLER: We know that from 1990 to 1994 there
14 was elevated leukemia in two of the downwind zip codes and
15 off-base housing.

16 MR. QUINTANILLA: Okay. And that's Chart 25 and 26.

17 DR. DAVID FOWLER: No, it's 27, 37, and 26.

18 MR. QUINTANILLA: Okay, but that's the slide number.
19 I'm talking about the elevated levels of leukemia in there.

20 DR. DAVID FOWLER: They were elevated during that
21 period of time.

22 MR. QUINTANILLA: And this slide more over than likely
23 makes it a reality that, you know, that the air emissions are
24 possibly causing the leukemia in that area.

25 DR. DAVID FOWLER: It's enough for us to investigate it

RAB 11/09/04

1 further. It may be coincidental. Who knows? But it needs to be
2 looked at.

3 MR. QUINTANILLA: Not only that, but I think we ought
4 to do something now also. We know that they had higher levels of
5 leukemia there. Maybe we should send a letter to the Texas
6 Department of Health and to the Metro Health Department.

7 Don't laugh, sir. Don't laugh, sir.

8 MR. WILKINSON: I called the Health Department and they
9 said they would not study Agent Orange because AIDS is the worse
10 problem than Agent Orange and they would not spend a dime on it.
11 I've got that letter.

12 DR. DAVID FOWLER: I believe the Texas Board of Health
13 is looking into that.

14 MR. QUINTANILLA: All right. And when will they
15 complete that?

16 DR. DAVID FOWLER: I don't know.

17 MR. QUINTANILLA: Because that's important. We do have
18 a health problem there, and you, you know, outlined it there in
19 those areas on Slides 25 and 26. We ought to make sure that the
20 health department, the San Antonio Metro Health and the Texas
21 Department of Health and whoever else, you know, the Human Health
22 Resources from Washington also look at this area.

23 You know, if our government is responsible for making
24 these people sick with leukemia, our government should be doing
25 something about it. That's all that I'm saying.

RAB 11/09/04

1 Now, I want to see some action in this and how do
2 we -- how do we get them to report to us as to what they've done
3 and how they're going to correct this?

4 DR. DAVID FOWLER: I can't speak for the Texas
5 Department of Health. Our own people will be coming back in
6 December, November or December to --

7 MR. SILVAS: December.

8 DR. DAVID FOWLER: -- to talk about it.

9 MR. QUINTANILLA: They're going to talk to us about
10 that?

11 MR. WILLIAM RYAN: I thought I heard you mention in one
12 of your slides that ATSDR is pursuing or looking at the health
13 outcomes for leukemia specific to those zip codes. So that's --
14 so really, you are addressing what Mr. Quintanilla is bringing
15 up.

16 Kyle, are you doing something in conjunction with --
17 through the PCH?

18 MS. KYLE CUNNINGHAM: Yes. Jeff, do --

19 MS. ROBYN THOMPSON: I'm sorry, could you all just
20 speak into the microphone. The transcriptionist is having
21 difficulty.

22 MR. JEFF SHIRE: As Kyle probably mentioned, I work
23 with the State Health Department and I know that we as a group --
24 they had originally done -- they've looked at cancer, birth
25 defects, and low birth weight for the time periods that they had.

RAB 11/09/04

1 And then now that a couple more years have passed, they're doing
2 a reanalysis with the new data to include all the information
3 they have to look at leukemia, liver cancer, all the different
4 cancers, all the different birth defects, and the low birth
5 weigh.

6 So my understanding is that that's going to be in
7 about a month or two that they're -- those different entities
8 within the State Health Department are going to be through with
9 that report.

10 MR. QUINTANILLA: Okay. Will you be here whenever
11 ATSDR wraps up this eight-year program that they have?

12 MR. JEFF SHIRE: Yeah, I plan to be here.

13 MR. QUINTANILLA: And tell us about this, what can be
14 done to help those people?

15 MR. JEFF SHIRE: Yes, sir.

16 MR. QUINTANILLA: Okay. That's all that I want.

17 MR. GONZALES: I have just one follow-up question,
18 please. This probably is pretty much in layman terms, but maybe
19 I need it in more layman than this. There's a paragraph on Page
20 13, the last paragraph, that speaks to considerations, in
21 particular child health considerations. And if you could just
22 give me a snapshot of what that really states. And if you want
23 to tell me what it says, that's fine. I'll deal with that, but
24 I'd appreciate it.

25 DR. DAVID FOWLER: One of the things that ATSDR started

RAB 11/09/04

1 doing is we have a child health initiative. We also look
2 strongly at, is there any reason a child might be more
3 susceptible? Well, for medical (inaudible) that's ongoing with a
4 child we think is in the development of that, that would make
5 anyone more vulnerable to chemical influence.

6 MR. SILVAS: That's a known fact though. You don't
7 think it, it's a known fact. Isn't it? It's a known fact, isn't
8 it?

9 DR. DAVID FOWLER: The generality is known; however,
10 there are no studies that indicate that children are more
11 susceptible. In other words, there are no studies that have the
12 numbers that show that they are. It's a concern of ours that
13 they may be.

14 MR. SILVAS: Thank you. Appreciate it.

15 MR. WILKINSON: I have a question.

16 MR. SILVAS: Mr. Wilkinson?

17 MR. WILKINSON: Yes. During my ten years with the
18 railroad, I have never seen shipments of pallets of drums. All
19 chemicals that I've always ever seen were shipped in tankers.

20 In Mission, Texas, Agent Orange was shipped to S-7
21 sites. Were they shipped in drums which I -- I've never seen no
22 drums. Or were they shipped in tankers and then emptied into
23 drums, which would put out fumes into the general public by
24 moving one pump to the other pump and then closing the lid and
25 causing fumes and vapors and leakages and stuff like that. I

RAB 11/09/04

1 have never, in my ten years of railroad work, seen drums being
2 shipped by the railroad. Those must have been tankers coming
3 into S-7 Sites and then the drums were filled there.

4 Do y'all have any study on that?

5 MR. SILVAS: Excuse me. Was that a consideration;
6 tankers offloading chemicals and maybe chemical spills, as far as
7 petro or any other hazardous? Would that have been the logical
8 research to bring up?

9 DR. DAVID FOWLER: There are events that would effect a
10 short-term thing, spill.

11 MR. WILKINSON: Why don't you tell them the
12 contamination --

13 DR. DAVID FOWLER: It might effect things on the
14 short-term. What we were looking at -- health effects in the
15 community is what we're looking at. We're talking about
16 long-term events. Okay. Somebody's exposed to things a lot.
17 Not on a spill and that adds to it in the day or a week or
18 whatever and go forth. So, we didn't consider that would
19 contribute to the overall thing that, you know, over 40 years it
20 be more than an acute exposure.

21 MR. SILVAS: Well, over a time frame of the study that
22 you did, I mean, you went and did a certain start date and ended
23 at a certain start date. Spills accumulating over that time
24 frame would oppose the long-term exposure.

25 MR. QUINTANILLA: We're talking about '65 to '71.

RAB 11/09/04

1 DR. DAVID FOWLER: Well, I doubt they would contribute
2 much to the overall effect. In any event, you know, these kinds
3 of things adding to it may not have been in there. But since
4 we're going to the next step anyway, I think it's immaterial.

5 MR. WILKINSON: Immaterial? A chemical that once you
6 catch it, there's no cure, no treatment. And you want to dodge
7 the bullet. Thank you, sir.

8 MR. SILVAS: I got one last question, I guess, for the
9 record. I asked you this earlier, would you again state your
10 mission for your agency?

11 MR. BRIAN KAPLAN: Protect and mitigate public health.

12 MR. SILVAS: And again, out of the 50 or so base
13 closures that you all studied, how many have you found that had
14 any kind of like contamination to the public?

15 DR. DAVID FOWLER: I can't answer that question.

16 MR. SILVAS: Thank you.

17 DR. DAVID FOWLER: You're welcome.

18 DR. DAVID SMITH: Further questions, RAB numbers?

19 Okay, Mr. Silvas, would you help me think for a
20 minute here how you'd like to look at the agenda. Do you want to
21 do TAPP tonight? Do we want to take a break? How would you like
22 do that?

23 MR. SILVAS: I think we can go ahead and get to TAPP
24 and then we can just wrap it up and get this through, get out of
25 here by 9:30.

RAB 11/09/04

1 DR. DAVID SMITH: All right. The next item on the
2 agenda is a TAPP update with an opportunity for you to ask some
3 questions pre and post that. Are there any -- before that
4 update's done, are there any questions we'd like to get on the
5 board?

6 MR. SILVAS: I don't know if it was put down there
7 earlier about the incinerator, finding out the company that built
8 it and the timeframe it was built.

9 DR. DAVID SMITH: All right.

10 MR. SULTENFUSS: I've have: Can we get some
11 information from the manufacture for the incinerator and how long
12 the incinerator was in operation?

13 MR. WILKINSON: And what chemicals -- why type of
14 chemicals did it burn and not burn.

15 MR. SILVAS: Okay.

16 DR. DAVID SMITH: Okay. All right.

17 As we said, the next item on the agenda is the TAPP
18 update. Ms. Dawkins has the responsibility for a brief
19 presentation on that. You have documentation on that
20 presentation in your folder. You had also received a similar
21 documentation in October, RAB members.

22 Having said that, Ms. Dawkins, I'm going to turn it
23 to you.

24 MS. DAWKINS: Good evening. My name is Larisa Dawkins.
25 I'm the Environmental Health Analyst for the Air Force Real

RAB 11/09/04

1 Property Agency. At the request of the executive committee and
2 other RAB members, we're just going to give you a brief update on
3 the TAPP program, which is the Technical Assistance for Public
4 Participation.

5 The TAPP -- basically just an overview of the
6 program. It's a program that's been set aside by the Department
7 of Defense and it provides an independent technical support to
8 community members or restoration advisory boards. It's has been
9 instituted to help the public understand and participate in the
10 decision making process by improving their understanding of the
11 overall conditions and activities. In this case, Kelly Air Force
12 Base as it relates to the environmental clean-up program. And it
13 also utilizes small businesses.

14 Projects that qualify for the TAPP funding are those
15 that are reviews of restoration documents and reviews of the
16 proposed remedial technologies, interpretation of health and
17 environmental effects, reviews of relative risk evaluation, and
18 also the development of certain types of technical training. So
19 those are programs that are eligible for TAPP funding.

20 Programs that are not eligible, those that generate new
21 primary data, those that are for litigation purposes or
22 underwriting of legal actions, reopening final DOD decisions,
23 political activity or lobbying in any studies that are of
24 epidemiological nature or a health-related study, and also those
25 for community outreach efforts. Those are not eligible for TAPP

RAB 11/09/04

1 funds.

2 With the TAPP funding program, a community is eligible
3 for \$25,000 per year or one percent of the cost of completing
4 environmental restoration at that particular installation or
5 whichever is less. And generally you're allowed up to 100,000
6 per installation. I think that -- maybe the next slide speaks to
7 it. For Kelly we have already acquired \$100,000 and later on
8 I'll show you what you have left as a RAB board.

9 The TAPP process, what generally happens is that
10 community members of the RAB -- and those members are also
11 involved with the TRS -- come together and they define a project
12 based on the environmental program at Kelly and what we're doing
13 in that particular program. And then the members decide and they
14 evaluate other potential sources of assistance, they complete the
15 TAPP application, and then they submit the application to the Air
16 Force Real Property Agency for review and approval, and then they
17 complete a satisfaction survey on the contractor's work.

18 So basically what happens is that the RAB members or
19 the TRS is given a list of things that the Air Force is going to
20 be doing for that particular year, whatever programs or projects
21 that we're doing as far as it relates to the environmental
22 program. And then the RAB or the TRS decides on what programs or
23 what studies that they would like an independent review of. And
24 once you all decide what you want an independent review of, then
25 you all also come up with whoever the independent consultant is,

RAB 11/09/04

1 and then that person would also report back to the RAB or TRS,
2 usually both.

3 Next slide.

4 To date, these are the projects that the RAB has
5 decided to use TAPP funds to review. In 1998 you all chose the
6 ATSDR water report and you chose University of Maryland to do
7 that. You also chose the '97 base-wide remediation assessment.
8 You chose Clear Water Revival Company. You also chose the OU-2
9 work plan, and you used Neathery Environmental for that.

10 In 1999 you all chose to do the Zone 3 CMS addendum,
11 the remedial investigation of Zone 4, OU-2, and you also chose a
12 final Zone 5 corrective measure study.

13 In 2000 you chose a shallow groundwater report. The
14 S-8 draft final, CMI, and then the site MP Draft final.

15 In 2001 you chose Zone 4 CMS and you also chose the
16 ATSDR Health Assessment.

17 2002 you had the Zone 3 R-5.

18 2003, ATSDR Air Emission Study. And that -- these
19 particular two are two that you're going to be having. You've
20 already attributed or you've already set aside TAPP funding for
21 the past air emissions and also for the Zone 2 and 3 CMS. And
22 the Zone 2 and 3, I believe is going to be presented to the TRS
23 next month.

24 So today your obligations are \$91,200 and you have a
25 remaining funding balance of \$8,800.

RAB 11/09/04

1 MR. SILVAS: More than one year, right?

2 MS. DAWKINS: For additional funding, if there is a
3 particular project that you would like to have reviewed coming up
4 this year and it goes over that \$8,800, you can request a waiver
5 for more funding and that would mean additional funds and/or
6 waivers. It must be requested through the Air Force Real
7 Property Agency and it must be tied to a specific project.

8 Do you have any questions?

9 Thank you.

10 MR. QUINTANILLA: So right now you would approve any
11 case -- you know, we'll be applying for \$25,00, you would approve
12 it, Mr. Ryan?

13 MR. WILLIAM RYAN: Well, we've already been -- we've
14 already been funded about \$100,000.

15 MR. QUINTANILLA: I know that. Say that we didn't have
16 any money as of this moment and we won't have -- possibly in the
17 next six months we won't have any money. We will come to you for
18 the money, for \$25,000 and we have to list some projects that we
19 want to review or get interpretations on?

20 MR. WILLIAM RYAN: We would have -- we would prepare
21 the TAPP application.

22 MR. QUINTANILLA: We'd submit it to you?

23 MR. WILLIAM RYAN: You would submit it to me and I
24 would submit the request for funding.

25 MR. QUINTANILLA: Okay.

RAB 11/09/04

1 MR. SILVAS: What is the -- like a basic review cost?
2 What is the past cost?

3 MS. DAWKINS: Generally it depends on the depth of the
4 project.

5 MR. SILVAS: Okay.

6 MS. DAWKINS: Like Zone 2 and 3 CMS would be a larger
7 document for an independent consultant to review. It just
8 depends on the nature of the particular project.

9 MR. SILVAS: Okay.

10 MR. QUINTANILLA: If you want a specific number, I
11 don't think we've pay anything over \$8,000 so far.

12 MR. WILLIAM RYAN: Yeah, I think that's right.
13 Mr. Quintanilla has been doing this for a long time. I think
14 generally 6- to \$8,000 is the typical project.

15 MR. QUINTANILLA: I don't remember one beyond that.

16 MR. WILLIAM RYAN: No.

17 MS. DAWKINS: Yes, sir, Mr. Garcia?

18 MR. GARCIA: Yeah, under TAPP guidelines can we apply
19 for more specific small air emissions studies and more specific
20 health studies to study how the air emissions has effected and
21 caused health problems in the community?

22 MS. DAWKINS: TAPP funds are specifically for projects
23 that are generated as a result of -- in this particular case with
24 Kelly -- of remediation projects. And then you can have an
25 independent consultant come and do an additional independent

RAB 11/09/04

1 review of that. But TAPP funds are not available to do something
2 new, like a health related study. Those types of things are not
3 eligible for TAPP funds.

4 MR. GARCIA: Are there any type of remediation
5 guidelines for study or dealing with air emissions and air
6 pollution to remediate the air emissions and air pollution?

7 MS. DAWKINS: I really don't know how to answer that
8 question.

9 MR. GARCIA: Well, you don't have to answer it right
10 now. You can explain it to me in a four or five-page letter.

11 MS. DAWKINS: A four or five-page letter, yes, sir.

12 MR. QUINTANILLA: If I may, I brought this from the
13 experts from the procurement office, the ones that run the money.
14 Usually it's to help us interpret the health of the environmental
15 project that we got, the effects of it, put it in layman's
16 language and answers any questions that come from that report.
17 But it's very defined by the Department of Defense in their --
18 when they give us the money.

19 MS. DAWKINS: Basically it allows community members to
20 have an independent company or person to interpret a report on
21 your behalf because some community members don't have the
22 technical expertise to review a document. So those funds have
23 been provided to community members and they have an independent
24 consultant review a project on their behalf and then provide the
25 community the results in terms which they're supposed to be able

RAB 11/09/04

1 to understand, as opposed from a technical perspective. They
2 actually interpreter the document for you.

3 MR. WILLIAM RYAN: And one of the TAPP contractors is a
4 health professional and that's who we've used in the past to do
5 other ATSDR studies. You know, and we also have experts from
6 ATSDR and the Public Center for Environmental Health that can
7 also help in that regard.

8 MR. QUINTANILLA: One of the things that we haven't
9 used the money for is the development of technical training for
10 the RAB. We have never used any money for technical training for
11 the RAB. No TAPP funds have ever been used for that.

12 MR. WILLIAM RYAN: I believe that's allowable.

13 MS. DAWKINS: That is allowable.

14 MR. QUINTANILLA: Yeah, it is allowable. Yes.

15 MR. GARCIA: We need to look into that.

16 MS. DAWKINS: Mr. Sheneman asked a question.

17 MR. SHENEMAN: What type of chemical -- technical
18 training would you want, Armando?

19 MR. QUINTANILLA: Whatever we need. Say that we don't
20 understand PRBs. You know, you can bring in an engineer and he
21 tells you about PRBs. Or we need some kind of a technical
22 training in order to communicate better with a community. You
23 know, we can get that, as to how we can communicate better with
24 them, the RAB can. That type of thing. It's what I would, you
25 know, look for.

RAB 11/09/04

1 MS. GALVAN: I like that suggestion, about having the
2 engineers from the PRBs come down and give a good explanation of
3 what they do and how long the history of it is, and what their
4 validity and research has been on PRBs.

5 MR. SHENEMAN: You've got four community colleges here
6 that have expertise.

7 MS. GALVAN: No, but the ones that are actually the
8 makers of the PRBs that are being constructed in the
9 neighborhoods.

10 MR. SHENEMAN: The manufacturers?

11 MS. GALVAN: No, the engineers. They were here at one
12 time with the Air Force.

13 MS. KYLE CUNNINGHAM: We did that. The --

14 (MR. RYAN AND MS. CUNNINGHAM BOTH SPEAKING AT ONCE)

15 MS. KYLE CUNNINGHAM: -- method. And I think they did
16 that at a -- I believe they did that at a --

17 MR. WILLIAM RYAN: I think it was a TRS.

18 MR. SILVAS: Yeah, that was some time back. Maybe it's
19 time to have them out here again.

20 MS. GALVAN: We have a new RAB board with new members.

21 MS. DAWKINS: And you may have even more new members in
22 January.

23 MS. GALVAN: Right.

24 MS. DAWKINS: So, it might be something the executive
25 committee would like to take a look at.

RAB 11/09/04

1 MR. WILLIAM RYAN: Certainly, you know, we're at the
2 point now where we're looking -- going to be looking for new
3 projects for the TAPP. We can, you know, entertain technical
4 training for the RAB as, you know, as one of the items. But we
5 do need to look at -- as the gentlemen on the end there brought
6 up, you know, we are supposed to look within the community for
7 those resources. If they can be provided from resources within
8 the community, that's where we need to go first.

9 MR. SHENEMAN: That's correct.

10 MR. WILLIAM RYAN: That's probably a good idea. But if
11 that's exhausted, then we can certainly, you know, look for TAPP
12 funds to do that.

13 MS. DAWKINS: And also the Air Force Real Property
14 Agency provides tours for those people that would like to come
15 out and, you know, ask questions specifically about any
16 environmental remediation projects that we have ongoing or that
17 are already put in place. So that's also available to you.

18 Yes, sir.

19 MR. SHENEMAN: There will be one November the 30th at
20 1:50, which I'm party to that other folks are welcome to come.
21 That's a Tuesday. And then the following Thursday, December the
22 2nd, I believe it is --

23 MS. DAWKINS: Yes, sir.

24 MR. SHENEMAN: -- at 1:50 again. Any folks that want
25 go see are welcome to come along because they've got it down

RAB 11/09/04

1 pretty good anymore. I been through the tour enough. And of
2 course I've got my chemistry classes there, and so we get into it
3 in a pretty serious way. And everybody seems happy with it.

4 MS. DAWKINS: Yes, sir. I've been a part of those
5 tours. Very lively.

6 Yes, sir, Mr. Garcia?

7 MR. GARCIA: I'd like to make a recommendation that
8 current RAB members, in consideration for new RAB members or
9 future RAB members coming in January, that we put a list together
10 for review stating all the wishes of all the training that we
11 might want, and then we will work off that list and prepare a
12 training manual and training classes on the particular items that
13 current and new board members would be interested in learning
14 about.

15 MS. DAWKINS: Now, usually every year after the
16 elections in January we generally hold a RAB workshop in
17 February. And those are some of the things that we can do at the
18 workshop.

19 MR. QUINTANILLA: But that's not out of TAPP funds?

20 MS. DAWKINS: No, sir. Those -- that's not out of TAPP
21 funds. So in addition to that --

22 MR. GARCIA: That would be the basic. And then after
23 the basic, under the workshop, then we can move into TAPP funds.

24 MS. DAWKINS: Yes, sir.

25 Any other questions?

RAB 11/09/04

1 MR. SILVAS: Yes. Out of all the colleges we have
2 here, are we currently trying to seek any kind of support from
3 them or...

4 MS. DAWKINS: Now, the Public Center for Environmental
5 Health -- and maybe, Kyle, you'd like to speak to this -- the
6 Public Center for Environmental Health is partnering with
7 colleges to address some of the issues that have been brought up
8 in ATSDR studies.

9 Kyle, would you like to speak to that? Kyle is the
10 program manager for the Public Center for Environmental Health.

11 MS. KYLE CUNNINGHAM: We have worked with some of the
12 other colleges. Some of the colleges in San Antonio actually.
13 We've been working with the Health Science Center. They're still
14 the Public Health. And then also we've been working with Our
15 Lady of the Lake. What we did is we put on the workshop in June.

16 There may be some other things that kind of work out
17 of that or come out of that.

18 Does that answer your question?

19 MR. SILVAS: When in the foreseeable future do you see
20 coming towards this committee? I mean, are they -- we see them
21 attend, but I'd like to see them attend more often or maybe have
22 them participate.

23 MS. KYLE CUNNINGHAM: Well, with the School of Public
24 Health, we're looking at a mortality study. That's probably
25 going to take a year to do or more.

RAB 11/09/04

1 MS. GALVAN: What about the students from UTSA, the
2 ones that -- they've offered a program for environment.

3 MS. KYLE CUNNINGHAM: Right. I'm very familiar with
4 that program.

5 MS. GALVAN: Bachelors Degree in Environment Studies.

6 MS. KYLE CUNNINGHAM: Right. I'm very familiar with
7 that program and some of the professors over there.

8 MS. GALVAN: You didn't mention them right now, so I
9 wondered what -- why you didn't mention UTSA.

10 MS. KYLE CUNNINGHAM: Why I didn't mention them?

11 MS. GALVAN: Yeah.

12 MS. KYLE CUNNINGHAM: Just haven't -- we don't have
13 anything rolling right now with them, but are very much aware of
14 them and they're aware of us.

15 MR. SILVAS: Could you forward their contacts for the
16 colleges, that you're, you know, right now talking to?

17 MS. KYLE CUNNINGHAM: Sure.

18 MR. SILVAS: Sure.

19 MR. QUINTANILLA: Well, the colleges the past -- that
20 was back in '94, '95, and '96 -- did come to various members of
21 the RAB then to come speak to their environmental classes that
22 they had. And these were the colleges I know of are Incarnate --
23 not Incarnate Word, but our Lady of the Lake, the University of
24 Texas downtown, and Trinity University. They would call on
25 different people. And they were always looking for someone to

RAB 11/09/04

1 volunteer for, you know, to come and speak to their classes on
2 environmental issues.

3 MS. GALVAN: They could make a good study by studying
4 Kelly Air Force Base.

5 MR. QUINTANILLA: They did. They would.

6 MS. GALVAN: Continued study for the rest of the 25
7 years, if we can live that long to see that day.

8 MR. SHENEMAN: While we're on the education side of
9 things -- maybe I really shouldn't get into this, but I'm going
10 to -- since I sat here listening to this, we talked about
11 cleaning up the environment, but we don't talk about cleaning up
12 the people who are employees, if you please, or toxic, if you
13 please. We never talked about that.

14 As far as the medical side of things, I've got
15 nothing against halopathic (sp), which is traditional in the
16 medical community. But I'm reading something here from the
17 Southwest Workers' Union that comes to mind because I don't know
18 that physicians have the time nor the interest in what we're
19 doing here because the people don't have any money to pay them.

20 MS. GALVAN: That's right.

21 MR. SHENEMAN: Now, if you all would like -- well, in
22 the first place, on the December 4th here in town, Hilton, here
23 will be all day seminar on matters holistic. In other words,
24 cleaning up the body. And there will be people there from all
25 over the United States, some people that I know quite well that

RAB 11/09/04

1 are top flight.

2 Now, I think eventually we need look into this kind
3 of thing. You can call it alternative, if you like. I don't
4 care for that. You can -- I prefer integrated with the
5 traditional medical community because we're not doing that. I
6 would not be sitting here had not -- I'll be 64 next month --
7 about 20 years ago out of desperation I got into this thing. I'm
8 not a rabid anti-doctor or anything like that, but I know for a
9 fact there's certain things that they cannot work with, out of
10 balance body, mind, and spirit.

11 So, we're seeing sick people come in here. Again --
12 and I think Mr. Murrah brought up something very interesting that
13 that's what prompted me to even broach this because I'm too new
14 on the board. I've only been here not quite a year. But nature
15 eventually will clean anything up. The body, given the right
16 direction or materials to work with, will do it's best to solve
17 the problem and bring it back to the homeostasis. It's a fact.

18 And this goes beyond what the typical medical
19 communities will do. Yes, they're able to diagnosis, that's
20 true. But I think we really, as a board, need to start looking
21 this way for the people who can't afford. There's lots of things
22 that people can do on their own for virtually nothing.

23 I thank you for listening to me. I've been sitting
24 here for a long time with that thought in mind, but I want to see
25 if we ever would come up and address this kind of thing. This

RAB 11/09/04

1 needs to be a separate operation altogether. And they're -- just
2 within a 30-mile radius of where we're sitting, there are some
3 folks who have awesome talents. I mean, I can't begin to tell
4 you, homeopathy to the (inaudible) Association, even
5 chiropractic. Lots of things that are possibly able to remove
6 the toxins. Until you get rid of the toxins -- and all these
7 chlorine and hydrocarbons they were talking about, virtually that
8 whole list, that whole menu, those are all fat soluble. Guess
9 where this is stored? In adipose tissue. They're not water
10 soluble, they just don't go away. That's the reason why some
11 folks have problems with livers and whatnot.

12 Anyway, thank you for letting me say that. But it's
13 something -- I don't know if that's the answer. I really don't,
14 but at least we can go into something, into a new area with some
15 new input. I'm really telling you, in my own way, I just went
16 through the discovery process with Step One through Step Seven,
17 but I think we need to recognize the problem and then take some
18 type of corrective action or at least an action plan. And if it
19 doesn't work, well then that's fine. We should all take a shot
20 at it.

21 Yes, sir?

22 MR. WILKINSON: Back in 1980 there was two workers at
23 Sequin River. One was (a name), one was Sammy Hearst. Sammy
24 Hearst sprayed Agent Orange in the lake. They listed his death
25 as natural causes; therefore, the Sequin River Authority didn't

RAB 11/09/04

1 have to pay any restitution for it. They want us to die because
2 it's cheaper because then they can write it off as a natural
3 cause instead of them poisoning us with their chemicals.

4 MR. SILVAS: All right. We'll move on to the next
5 issue and close this.

6 DR. DAVID SMITH: Thank you.

7 Thank you, Ms. Dawkins.

8 We are at that stage in the meeting where we're at
9 the meeting wrap up. We do need to settle on some dates for
10 return. Robert, you were suggesting that probably December made
11 sense. Do we want to poll the RAB or something to see whether
12 December is when you want the ATSDR folks to return?

13 MR. SILVAS: Yes.

14 MS. GALVAN: Do we vote or what?

15 MR. SILVAS: Shouldn't we come up with a date for them
16 to return?

17 DR. DAVID SMITH: Yes. That's right. I'm sorry.

18 RAB members, do you have thoughts? December -- I
19 guess December or January are really the options -- are they
20 not -- that we have to chose from. Do you have thoughts on that?

21 Ms. Galvan?

22 MS. GALVAN: I was going to say that, yes, I feel like
23 time is always running out, and the years are going by, and we
24 just need to move faster on all of these studies and these
25 meetings. So I believe in December we do need to meet because

RAB 11/09/04

1 time is running out for some people. And that's when -- what I
2 mean is that some of us may come down with sicknesses or
3 illnesses. We need to find answers to all these questions we
4 have. And the more and the faster the meetings come from ATSDR
5 and the studies, the better.

6 So, I agree. The faster, the better.

7 DR. DAVID SMITH: All right.

8 MS. GALVAN: December 14th, 15th, I'm ready.

9 DR. DAVID SMITH: Are there other thoughts on...

10 MR. SILVAS: Well, as far as the --

11 MS. GALVAN: I don't know how the others feel.

12 MR. SILVAS: -- the next TRS is on the 13th, which is a
13 Monday?

14 DR. DAVID SMITH: That's right, Robert.

15 MR. SILVAS: And I'm not sure if they could free up
16 themselves to be there. I mean, we need to know what their
17 schedule is like.

18 MS. GALVAN: Didn't you say the 14th or 15th? That's a
19 Tuesday, right?

20 MS. ABBI POWER: Tuesday and Wednesday.

21 MS. GALVAN: Tuesday and Wednesday. Tuesday, like
22 today.

23 MS. TERAN-MacIVER: You want us to come to the TRS
24 meeting too?

25 MR. SILVAS: Yeah, that's the next meeting of the TRS.

RAB 11/09/04

1 DR. DAVID SMITH: Let me make sure that I understand
2 what we're suggesting here. I guess one possibility is to make a
3 presentation to the TRS, but you're really talking about your
4 very own meeting that you want to hold, really separate from any
5 of these organizations, which is the ATSDR presentation that is
6 going to be broader than today and you'll bring in the other
7 folks. And what you're really asking this group for is not to
8 sponsor your meeting, but to simply give you some input as to
9 when would be a better time to have that meeting. Is that -- am
10 I -- I don't mean to put words in your mouth.

11 MR. QUINTANILLA: Well, I have a question. When will
12 that particular project, or whatever they're doing, be brought
13 before the RAB?

14 MS. TERAN-MacIVER: We already brought it before the
15 RAB. We brought the Public Health Assessment --

16 MR. QUINTANILLA: All right. You've already done that,
17 but what are you bringing the next time in December?

18 MS. TERAN-MacIVER: We're bringing all of the team
19 members that produced those documents that have the health
20 outcome data, the East Kelly document, the past air emissions,
21 the current air, the on-base water, and the PHA.

22 MR. QUINTANILLA: And what are they going to do?

23 MS. TERAN-MacIVER: Bring explanations to the people.

24 MS. ABBI POWER: Ms. MacIver, can you clarify. Is
25 that a meeting that Kelly is having for the RAB or is that a

RAB 11/09/04

1 meeting that ATSDR is sponsoring for the general public as a
2 whole?

3 MS. TERAN-MacIVER: ATSDR for the general public.

4 MS. ABBI POWER: Yeah, it's not associated. It's not a
5 RAB meeting. It's their meeting at some location to be chosen
6 and such.

7 DR. DAVID FOWLER: Really it's an environmental
8 discussion and we'll have these people available with these --
9 about health outcome data and plus, you know, what presentations
10 we have over the whole thing.

11 MR. QUINTANILLA: And you're going to say, this is what
12 we found, and this is what ought to be done about it by somebody?

13 DR. DAVID FOWLER: By the people or --

14 MR. QUINTANILLA: Well, this is what I would like to
15 see. You know, if you're just going to come out and say -- come
16 up with the same thing and just throw it out there to the public
17 and leave the public hanging, well, you know, we know that we got
18 people sick of leukemia. Who is going to do what to make them
19 better? That's what I want to see in December, otherwise, forget
20 about it.

21 MR. GONZALES: From my point of view on that is that,
22 if you would, once that meeting is set and scheduled, if you
23 could extend the information to the staff here so they could get
24 it back to us so that we can be properly informed as to when it's
25 going to be held and those of us that decide to attend can go

RAB 11/09/04

1 ahead and do so in that matter. So, that would be appreciated.

2 MR. SILVAS: I'd like to add to that. I don't see why
3 not to go ahead and hold that like we have on the 14th during
4 that same week that the TRS is. That wouldn't be a problem for
5 most of us I see. But, yeah, that timeframe would be good.

6 Mr. Wilkinson?

7 MR. WILKINSON: Yes. I talked to a lady that was an
8 advocate who showed at the last meeting. The EPA, Water
9 Commission, and the railroad, Union Pacific jumped on her. She
10 was followed home. That is called retaliation. You all should
11 look into that and kick these people off the board. They're
12 malicious. They're going to set up and try to kill her. They
13 tried to kill me. They use the Texas Intelligence -- the Texas
14 Department of Public Safety Officers Intelligence Squad and I
15 have not committed -- they did they same thing in Corpus Christi.
16 And you all better watch the Water Commission, the EPA and all
17 these people involved in their cover up.

18 MR. SILVAS: Thank you, sir. Thank you.

19 MR. WILKINSON: Because I will not put up with it.

20 DR. DAVID SMITH: In the meeting wrap up, action items
21 from the previous meeting will be addressed at the next regular
22 RAB meeting. Meeting summary will be approved at the next
23 regular RAB meeting, which is back to the January meeting.

24 Our next TRS meeting -- and RAB members, will you
25 look at this real carefully because your agenda says the next TRS

RAB 11/09/04

1 meeting is on Tuesday, December 13th, when in fact that's Monday,
2 December 13th. It is a Monday.

3 MS. GALVAN: It's a Monday?

4 DR. DAVID SMITH: It is a Monday.

5 MR. SHENEMAN: Is that when we're doing it or is it
6 originally the 13th?

7 MS. GALVAN: No, Monday is the 13th.

8 DR. DAVID SMITH: Monday the 13th.

9 And the next RAB meeting itself is Tuesday, January
10 18th, 2004, as it reads in the agenda. Please remember that that
11 meeting is an election for new RAB members. The recruitment
12 process continues to be underway, and applications are available
13 if you have people who you'd like to recruit. That would be
14 particularly important.

15 MR. GONZALES: Mr. Silva, if you would permit me on
16 the -- while we're on minutes and stuff, the July minutes do not
17 show me as being present and I was present at that meeting, so if
18 at the appropriate time they can go ahead and make the
19 appropriate correction.

20 MR. SILVAS: Okay, that's noted then.

21 MS. ROBYN THOMPSON: I just wanted to say that we've
22 received very few RAB applications. We have extra copies in the
23 back. LeighAnn has some here. So if y'all could please take
24 them out, pass them out to people that you know. It would be
25 really great if we could have a lot of candidates for the

RAB 11/09/04

1 election in January.

2 DR. DAVID SMITH: The other form, RAB members, that you
3 have received is this request for information form. This is
4 simply a form that is made available to you and to audience
5 members so that if there are questions that remain unanswered
6 after today that you would like to have a written response to, if
7 you would please see to it that those get turned in and we'll try
8 to get those responses back to you -- the staff will try to get
9 those responses back to you as quickly as possible.

10 MR. SILVAS: Yes, I guess two last things. Have the
11 RAB members that are up for their expiration on the terms, are
12 they aware of who they are? Have they been notified?

13 DR. DAVID SMITH: I believe it has been discussed at
14 the past meeting, but letters could be sent out if you would like
15 to have that done.

16 MR. SILVAS: All right.

17 And another last thing is the attendance. Are we
18 still tracking that? Have we noted that today?

19 DR. DAVID SMITH: Yes, we have noted that today.

20 Does that cover it?

21 Having gotten to that point, I guess the only
22 question is to ask one of you to make a motion that we adjourn
23 for the evening.

24 MR. SILVAS: Can we have a motion to adjourn?

25 MS. GALVAN: I move that we adjourn.

RAB 11/09/04

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. MURRAH: I second it.

DR. DAVID SMITH: Meeting adjourned.

(9:08 p.m.)

RAB 11/09/04

1 STATE OF TEXAS)

2 COUNTY OF BEXAR)

3

4 I, Vickie-Lee Garza, Certified Shorthand Reporter, do
5 hereby certify that the foregoing is a correct transcript, to the
6 best of my ability, of the proceedings held in this matter.


7

8 12/29/04
DATE

9

Vickie-Lee Garza
VICKIE-LEE GARZA, CSR

10



11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

FINAL PAGE

ADMINISTRATIVE RECORD

FINAL PAGE