



# CHANUTE AFB ILLINOIS

---

## ADMINISTRATIVE RECORD COVER SHEET

AR File Number 3347.1

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

BEFORE THE RESTORATION ADVISORY BOARD

IN RE THE MATTER OF:

CHANUTE AFB INSTALLATION  
RESTORATION PROGRAM

BOARD MEETING

Proceedings had on April 11, 2001, at AFBCA  
Public Meeting Room, 1 Aviation Drive, Rantoul,  
Champaign County, Illinois, commencing at the hour of  
6:05 o'clock P.M., before the Restoration Advisory  
Board, before H. Lori Bernardy, a Notary Public of  
Sangamon County, acting within and for the County of  
Champaign, State of Illinois.

**ORIGINAL**

BALDWIN REPORTING & LEGAL-VISUAL SERVICES  
Serving Illinois, Indiana & Missouri  
24 hrs (217)788-2835 Fax (217)788-2838  
1-800-248-2835

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

PRESENT:

Tim Mitchell	Rantoul <u>News-Gazette</u>
Dave Heidlauf	Montgomery Watson
Mark Hutchinson	AFBCA
Joe Baker	<u>Rantoul Press</u>
Caryl E. Fothergill	RAB Member
Gary Schafer	USEPA
Robert Kravitz	MEC
Chris Hill	IEPA
Jennifer Smith	Montgomery Watson
Steven Pitts	AFBCA
Lorraine Wirges	RAB Member
David Wacker	
Donna Kozak	UNITEC
Rich Weber	Montgomery Watson
Chris Miller	Montgomery Watson
Charles Rice	AFCEE
Gary Adams	Village of Rantoul
Ray Boudreaux	Rantoul, RAB Member
Carl Sahre	AFBCA

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

## P R O C E E D I N G S

MR. BRECHEEN: Are we all ready to start?

MR. ADAMS: We left so we could be here with you. We had a meeting, and we left that to be here at your beck and call.

MR. BRECHEEN: We're honored. Thank you.

MR. ADAMS: You're welcome. Anytime.

MR. BRECHEEN: I don't think there's any introductions. Are there any comments?

MS. WIRGES: No, thank you.

MR. BRECHEEN: Any comments on the meeting minutes from the last time?

(No audible response.)

MR. BRECHEEN: Any motion to approve that?

MS. WIRGES: I move we approve the minutes from the last meeting.

MR. FOTHERGILL: I second.

MR. BRECHEEN: All in favor say aye.

RAB MEMBERS: Aye.

MR. BRECHEEN: Okay. Let's go around and introduce ourselves.

MR. HEIDLAF: Dave Heidlauf with Montgomery Watson.

MR. MILLER: Chris Miller, Montgomery Watson.

1 MR. WEBER: Rich Weber, Montgomery Watson.  
2 MS. SMITH: Jennifer Smith, Montgomery Watson.  
3 MR. HUTCHINSON: Mark Hutchinson, Air Force.  
4 MR. WACKER: Dave Wacker, Jacobs Engineering.  
5 MS. KOZAK: Donna Kozak, UNITEC.  
6 MR. RICE: Charlie Rice, AFCEE.  
7 MR. MITCHELL: Tim Mitchell, News-Gazette.  
8 MR. BAKER: Joe Baker, Rantoul Press.  
9 MR. PITTS: Steve Pitts, AFBCA.  
10 MR. KRAVITZ: Rob Kravitz, Midwest Environmental  
11 Control.  
12 MR. BRECHEEN: Tim Brecheen, Chanute AFBCA.  
13 MR. FOTHERGILL: Caryl Fothergill, RAB Member.  
14 MS. WIRGES: Lorraine Wirges, RAB Member.  
15 MR. ADAMS: Gary Adams, the Village of Rantoul.  
16 MR. BOUDREAUX: Ray Boudreaux, the Village of  
17 Rantoul.  
18 MR. SCHAFER: Gary Schafer, United States  
19 Environmental Protection Agency.  
20 MR. HILL: Chris Hill, Illinois EPA.  
21 MR. BRECHEEN: Can you all see this at all?  
22 MR. BOUDREAUX: Yeah. Prescription (indicating).  
23 MR. BRECHEEN: You can certainly move closer.  
24 We'll go ahead and start with our Update of

1 the last couple of months. We're moving out of the  
2 winter season, and it's going to be a fairly busy time  
3 for us these next few months under the Landfills  
4 Investigation. Future Work: Coming up shortly is the  
5 Draft Investigation Report for the sites which follows  
6 the Investigation and the Feasibility Study in turn  
7 this summer.

8 So, most of the field work is complete.  
9 Compiling that information, again, covers the  
10 Landfills and Heritage Lake. Remedial action:  
11 Capping the four Landfills. The main efforts there,  
12 Landfills 1 and 2 progressing. I'm sure most of you  
13 have all seen the work, a lot of digging, a lot of  
14 dirt hauling - these words are small - power source in  
15 with the Village.

16 Retention pod should start the 1st of May.  
17 We'll be able to this year complete the borrow source  
18 and excavation. Landfills 1 and 2, the goal is to  
19 complete those this year, and get most of Landfill 3  
20 done as well.

21 MR. ADAMS: Did you ever make a decision you're  
22 going to be deeper?

23 MR. BRECHEEN: We have a request from the Village  
24 to dig deeper. We can, and there's certain

1 liabilities associated with that, but yes, we can.

2 MR. ADAMS: Where are you with that decision?

3 MR. BRECHEEN: We owe you a response in writing,  
4 which will come the next couple of days. We want to  
5 make sure we reiterate that the further deeper you go,  
6 you know, there are potentials for different types of  
7 geology.

8 MR. BOUDREAUX: Did you reach sand yet?

9 MR. ADAMS: We don't want to create a problem. I  
10 think what we're trying to say is, potentially, if you  
11 can -- if you can get more dirt there, fine. If you  
12 can't, you can't.

13 MR. BRECHEEN: There will be the need to go to a  
14 second borrow source before we're done capping all the  
15 things we need to cap.

16 MR. BOUDREAUX: Will you be done digging the lake  
17 then at the end of this season.

18 MR. BRECHEEN: That's correct, in this  
19 construction season.

20 MR. BOUDREAUX: So we'll be done? All the dirt  
21 you can get, you'll have gotten? It will be done?

22 MR. BRECHEEN: Barring anything unforeseen. As  
23 we all know, the Landfill is not just the caps, it's  
24 the leachate collection system and methane gas system

1 as well. That's probably the majority of the  
2 construction activity we'll see here over the next  
3 year, is the construction caps. That's really the  
4 only sites where we have remedies ongoing.

5 Base-Wide Investigation: We've started the  
6 work over in Operable Unit 1, the main base area. I  
7 don't know if you've all see the guy out there doing  
8 geophysics work, where he's checking for lead at the  
9 various sites. He's using an ATV unit, pulling the  
10 magnetic devices that can work to see if there's any  
11 metallic objects up to 10- to 12-foot area at various  
12 sites.

13 Residential areas: We've been in  
14 communication with everybody concerned, and I think I  
15 have everyone's support to keep moving forward with  
16 the program. So, if you're out here, or you might see  
17 that or you might see we're also doing what's called  
18 cone penetrometer work where we're looking at the  
19 geology of the soil at different spots. You'll see  
20 someone out here where we've got the grass marked in a  
21 couple spots here.

22 MR. SCHAFER: Do you want to comment on the other  
23 areas where geophysics is being done where we're not  
24 looking solely for lead?



1 MR. BRECHEEN: There are some areas where there  
2 could be some potential things buried, and the  
3 geophysics will pick that up as well. EM Club area  
4 that's over -- what's that building there?

5 MS. WIRGES: Caddy shack?

6 MR. BOUDREAUX: It's over behind where the old  
7 laundry and dry cleaners used to be, across from Smith  
8 Hall.

9 MR. PITTS: It's behind the old Enlisted Men's  
10 Club. It's called Building 255.

11 MR. BOUDREAUX: That's right. It's out there.

12 MR. BRECHEEN: There's also some areas out in the  
13 runway, in between the runway, that we're looking for  
14 various objects. And we did have several firing  
15 ranges that we have to look and see if they got the  
16 lead from the firing ranges.

17 Again, this is kind of a monumental first  
18 step for this area of the base, conducting field  
19 activities. They are approved with the regulators,  
20 and we're taking a big step forward. Once we know  
21 this preliminary information will role into our  
22 workplan, and also later on this season, to be out  
23 there taking soil samples and test trenches, if we  
24 need those, and whatever else to move forward.

1 MR. BOUDREAUX: It's all based on what we find  
2 with the geophysics?

3 MR. BRECHEEN: Correct.

4 MR. FOTHERGILL: You just have one person with  
5 this machine looking for objects?

6 MR. BRECHEEN: We have one contract -- we have a  
7 contract with one company, and that one company is  
8 looking at all sites.

9 MR. BOUDREAUX: They move pretty fast. Have you  
10 seen them off of the west end? The runway? They  
11 actually have a four-wheeler and pull a little --  
12 almost like a sled that slides along the top of the  
13 grass.

14 MR. ADAMS: They were out --

15 MR. BOUDREAUX: They have cones. They mark the  
16 spots. I mean, they're very conscious to stay on  
17 the -- they go on these tracks, back and forth, back  
18 and forth.

19 MR. FOTHERGILL: So they're basically mapping a  
20 grid.

21 MR. BOUDREAUX: Sure. They are.

22 MR. BRECHEEN: It's all GPS, and they take  
23 readings every second, second and a half. You get the  
24 feel with these guys, it's very scientific, but it's

1 kind of just the first step.

2 MR. BOUDREAU: Something that they haven't done  
3 before either. It's a giant step.

4 MR. WACKER: It's the same contract that bid the  
5 work, the same work for the Landfills Investigation,  
6 so we have some history with those same people and the  
7 kind of information they provide.

8 MR. BOUDREAU: Remember the map that used to be  
9 up there that had all those little lines? Same thing.  
10 That's old stuff.

11 MR. BRECHEEN: Right now, we have a pretty long  
12 list of potential problems for potential sites.  
13 They're sites, but we don't have a clear picture on  
14 the level of contamination of the sites, and that's  
15 what this effort is for. So, hopefully, what we'll  
16 start seeing is -- okay, there's 15 sites that we  
17 started. How many of the 15 aren't really the bad  
18 actors, and how many are?

19 The same thing in Operable Unit 2, the  
20 industrial area: We have sites there that we're  
21 working on, that will be completed in the next two  
22 weeks or by the 1st of May submitting a comprehensive  
23 workplan to deal with all the sites in Operable Unit  
24 2.

1 MR. BOUDREAUX: What about 932 and all those?

2 MR. BRECHEEN: Every one of them. 916, 918, 937.

3 MR. BOUDREAUX: FTA-1 and -2? All of those?

4 MR. BRECHEEN: FTA-1. FTA-2, right now, is  
5 separate. We're still moving forward, but kind of in  
6 a separate way. But it does include FTA-1 and  
7 everything else in OU-2.

8 And for the goal of mid-summer --  
9 mid-summer of this summer and the workplan, we  
10 discussed this quite a bit with the regulatory  
11 agencies, had meetings, three meetings, to make sure  
12 what we're building as a workplan is what's agreeable  
13 with the agencies.

14 So we negotiate with them and build the  
15 workplan, submit it, and go back and forth to make  
16 sure it's appropriately developed, come to agreement,  
17 and once that workplan is completed and approved by  
18 the agencies, then we're out there doing the work.  
19 And we'd like to be out there doing the work as early  
20 as the season provides.

21 So we're hoping in the July time frame, to  
22 be there in OU-2, and we decided to share that with  
23 the Village because of access and tenants and the  
24 whole picture.

1 MR. BOUDREAUX: We did visual inspections or  
2 whatever you call those?

3 MR. BRECHEEN: There are other sites where we did  
4 the visual sites inspections yesterday and looked at  
5 all those things.

6 MR. BOUDREAUX: Looked at all those.

7 MR. BRECHEEN: Because in addition to these -  
8 we'll talk about this in a minute - that there's other  
9 sites we'll talk about. Spring, put together the  
10 planning documents, and data collection in the summer,  
11 and following on into the spring of next year.

12 MR. BRECHEEN: The other sites we're calling  
13 non-CERCLA, all the tanks, and they're our tank sites,  
14 underground storage tanks all across the base. Those  
15 are moving forward. Twenty days or so, three weeks  
16 ago, we turned in kind of our first all-encompassing,  
17 comprehensive workplan to the agencies regarding 86  
18 sites.

19 Of the 86 sites, we propose no further  
20 action for 62 of them, meaning we think we've done all  
21 we need to do; we've just never closed out the  
22 paperwork. So we need to close out the paperwork.  
23 The other 26 sites, we need to do further sampling.

24 MR. BOUDREAUX: There was a question before I

1 left on 937's heating oil tank.

2 MR. BRECHEEN: Yes, sir.

3 MR. BOUDREAU: All that piping has been  
4 replaced. That has been done, and that's like three  
5 years ago or two years ago, it was replaced. All that  
6 piping has been replaced. There may be still residue  
7 there or something, but it's all new pipes. We don't  
8 think it's leaking, but I asked our maintenance guy to  
9 go out and double-check.

10 MR. BRECHEEN: Okay. See, there's almost like  
11 two levels of sites. There's what we call CERCLA  
12 sites, and they're large, big player sites, and then  
13 there's the non-CERCLA, which is every single tank and  
14 all those issues. We're working them both  
15 concurrently.

16 In the future, when we get approval,  
17 hopefully within the next 60 days, we'll be out in the  
18 field on those 26 sites. We're going to do the do  
19 sampling -- do sampling on those. There's another  
20 group of tank sites that we'll be submitting another  
21 workplan to the agencies in the next 60 to 90 days to  
22 cover those sites. We'll be drilling wells for some  
23 of these sites. Our typical underground tank sites  
24 where we need to draw wells and sample.

1 MR. BOUDREAUX: Were all of these UST's?

2 MR. BRECHEEN: Some of them.

3 MR. BOUDREAUX: Some of them?

4 MR. BRECHEEN: Yes. Well, the places where we  
5 need to install wells. (Next to me.

6 MR. HEIDLARF: Our load is 60 UST's, and then  
7 one, the 950 area.

8 MR. BOUDREAUX: All of them down in 900?

9 MR. HEIDLARF: No. Some of them are OU-1 up  
10 there in the main base.

11 MR. BOUDREAUX: Before we stick some big drilling  
12 rig in somebody's backyard, it would be good to know  
13 where those are so we can at least notify the  
14 citizens.

15 MR. BRECHEEN: It will all be flush-mounted.

16 MR. BOUDREAUX: We still need to know it. You  
17 had a -- some of those will have an 8-foot derrick.

18 MR. WACKER: You'll laugh at the two rigs that  
19 we're going to have in this area up here next week.  
20 They have a 5-foot -- they're not too large.

21 MR. BOUDREAUX: Some of the sampling wells are  
22 typically a lot deeper.

23 MR. ADAMS: Just tell them we're drilling for  
24 oil.

1 MR. BOUDREAUX: I'm driving to Arkansas tomorrow.  
2 That's like in the last three days, it's gone up.

3 MS. WIRGES: It was 1.67 this afternoon, and a  
4 little bit ago it was 1.71.

5 MR. BOUDREAUX: This past weekend, it was 1.45.

6 MS. WIRGES: That's the regular unleaded.

7 MR. BOUDREAUX: Well, the USA Today -- I don't  
8 get the USA Today, except when I'm in a hotel, so I  
9 got that this morning, and it said \$3.00 possible by  
10 this summer.

11 MR. FOTHERGILL: 1.31 in Kentucky yesterday.

12 MS. WIRGES: 1.35 in Danville.

13 UNIDENTIFIED SPEAKER: It sounds like we need to  
14 buy some Exxon stock, because they're making record  
15 profits.

16 MR. ADAMS: Let's get back to the base.

17 MR. BRECHEEN: This is going to be kind of hard  
18 to see. It's our funding slide.

19 MR. BOUDREAUX: Turn it on.

20 MR. KRAVITZ: We can try it again.

21 MR. BOUDREAUX: We can see them both.

22 MR. ADAMS: We believe you.

23 MR. BRECHEEN: The whole pie is everything we  
24 wanted, everything we were ready to execute on and



1 receive money for in this fiscal year, which is  
2 October 1 to September 30 of this year.

3 Of the whole pie, our initial amount we  
4 were going to receive is actually this red part here.  
5 And that was the concern when we had the article about  
6 the funding calculations.

7 Since that time, we were - and the term  
8 used was "restored" - this white part here. Now we're  
9 up to a level that will keep us working. We won't be  
10 stopping work. We're going to get done everything we  
11 talked about tonight, but it's not everything that we  
12 were poised and ready to execute. And some know on  
13 account of the military funding - it's almost a game  
14 at times - that to be first in line, be ready for the  
15 money.

16 So what we did was, we got first in line,  
17 and we built a huge program. Most of it would keep us  
18 going -- most of it will keep us going well into next  
19 year, because again, from the time we get the money,  
20 we have to put it under contract, and then execute  
21 that work.

22 So what we're saying is, for that red and  
23 white, that's what we have in our hand, that's what  
24 we're putting under contract, and that's what's going

1 to keep us busy from here to the end of the fiscal  
2 year, and allow us to get, like we said, Landfills 1  
3 and 2 almost 3, retention pond, all the fill that we  
4 talked about.

5 That blue part of the pie up there is kind  
6 of our wish list, that unless something changes, we  
7 will not receive this year.

8 MR. BOUDREAUX: We could execute portions of that  
9 though because we're ready.

10 MR. BRECHEEN: Yes, and that's how we're trying  
11 to play the game, smart, making sure that our folks  
12 that give us the money know --

13 MR. BOUDREAUX: Ready to go.

14 MR. BRECHEEN: -- (continuing) we're ready to go,  
15 and we can take it in fairly small pieces. We're  
16 ready to execute. Look at what we've already executed  
17 on.

18 So we have a good track record, and we're  
19 ready for the next piece. The overall -- I guess just  
20 to clarify a point, the overall AFBCA environmental  
21 request, initially, was 230 million dollars, and that  
22 was a letter that Mr. Lowas wrote.

23 MR. KRAVITZ: That's all of them, correct?

24 MR. BRECHEEN: That's correct. Chanute is one of

1 30-plus installations. We want to clarify that not  
2 all of that is for Chanute, but Chanute gets a portion  
3 of that based on how we're postured. I know that  
4 funding has kind of been up and down. I just want to  
5 make sure we are able to execute.

6 We didn't get our whole wish list, but  
7 we're postured that in the future, we don't know what  
8 the rest of the fiscal year holds. There's a change  
9 of administration, and different things going on, and  
10 toward the end of the fiscal year, sometimes things  
11 change.

12 People who thought they needed a certain  
13 amount of money don't really need that amount or  
14 sometimes they thought they could spend it this year  
15 and can't spend it this year, so sometimes things  
16 become available. We just want to be ready.

17 MR. SCHAFER: You've heard the agencies express  
18 concerns on funding, and I'd like to elaborate a  
19 little bit more on that. The burden of hand, like Tim  
20 said, is the red and the white portions of the pie.  
21 The entire pie is what we feel we could have done this  
22 year, if we had gotten the money. Do you understand?

23 That's what that whole pie are, projects  
24 that we could have executed or at least probably

1 begun. Or even if we couldn't have executed them, the  
2 money would have been there from Headquarters to pass  
3 on to the contractors to get them poised to do the  
4 work. So what this means is, we're going to have  
5 another pie that constitutes tasks for fiscal year  
6 '02, okay?

7 If we don't get any more of this pie - and  
8 we might - I mean, the red and white might grow if the  
9 money gets freed up, and the Air Force is able to ship  
10 it here between now and the end of the fiscal year.  
11 The worse case scenario is that that doesn't happen.  
12 The blue portion of the pie, which represents about 60  
13 percent of this pie, gets shoved forward into '02, in  
14 addition to the '02 pie.

15 So you see, there's kind of a -- for every  
16 time we don't get everything we need - and with  
17 shrinking budgets, it's unlikely that we're going to,  
18 just as a matter of reality - the pie for the next  
19 year -- the needs for the next year keep growing.

20 So, now we're looking at next year's pie  
21 that we would want, plus 60 percent of this year's pie  
22 in addition to that. So when the pie keeps growing on  
23 the one end, the needs and requirements keep growing,  
24 but the budget keeps coming down, and I think maybe

1 that puts in perspective for you all our concerns  
2 about the Air Force's ability to get funds to do the  
3 job, because it's harder for them to do it. It's very  
4 difficult for them.

5 MR. BOUDREAUX: Our workplan for this year was by  
6 far the largest financially of any year, right?

7 MR. BRECHEEN: That's correct.

8 MR. BOUDREAUX: And next year, it's not  
9 anticipated -- it never was anticipated to be as large  
10 as this year, I don't think.

11 MR. BRECHEEN: The original --

12 MR. BOUDREAUX: Well, now it would be if we don't  
13 get any of this additional --

14 MR. BRECHEEN: Correct.

15 MR. BOUDREAUX: But I mean, it wasn't anticipated  
16 to be.

17 MR. BRECHEEN: If we'd received the whole pie,  
18 this year was by far the largest.

19 MR. SCHAFER: Based on what we currently know.  
20 Now, what we don't know, and what we're going to find  
21 out is, when we do these Investigations, we're  
22 inevitably going to find sites that require cleaning.

23 MR. BOUDREAUX: Oh, yeah.

24 MR. SCHAFER: So based on today's information,

1           yes, but we don't have the full picture. We don't  
2           have the complete picture of how much of the base has  
3           got to be cleaned up yet. So those out years are  
4           highly variable. And what we're going to need is  
5           going to be related directly to what we find in our  
6           investigations.

7                         So just because next year's pie appears to  
8           be smaller, if we get more investigation data this  
9           year that suggests we have to do clean-up, that pie is  
10          going to grow exponentially. Did I get that right?

11                        MR. BRECHEEN: (Nodded head up and down.)

12                        MR. BOUDREAUX: All I was saying is that we hope  
13          that most of that work that was done previously, while  
14          it wasn't allowable, you know what I'm saying? Like  
15          things aren't allowable in court, it wasn't allowable,  
16          hopefully, those people aren't lying to us completely.  
17          So, hopefully, there's not a whole lot out there that  
18          has to be cleaned up. I mean, it could be.

19                        MR. BRECHEEN: Once the workplans are approved in  
20          the next few months and the investigation begins, that  
21          will begin to unfold.

22                        MR. BOUDREAUX: Yeah. You going to cover 3?  
23          Item 3?

24                        MR. KRAVITZ: Item 3?

1 MR. BOUDREAUX: Yes.

2 MR. KRAVITZ: I think you're working off an old  
3 agenda.

4 MR. BRECHEEN: There was no new information on  
5 that.

6 MR. BOUDREAUX: I brought mine from home that you  
7 sent me in the mail.

8 MR. SAHRE: That was a draft.

9 MR. BOUDREAUX: Oh, that was a draft?

10 MR. BRECHEEN: It's an aggressive program. We're  
11 in good weather.

12 MR. BOUDREAUX: We don't want too good weather,  
13 because we really are dry, so our farmers do need some  
14 rain, but we want good weather.

15 MR. BRECHEEN: Do you have any other comments?

16 MR. SCHAFER: No.

17 MR. BRECHEEN: Anybody else have any other  
18 comments?

19 (No audible response.)

20 MR. BRECHEEN: Ray, on Reuse?

21 MR. BOUDREAUX: Really no big changes from last  
22 month. Gary might want to talk about -- a little bit  
23 about some of the interesting things going on that --  
24 with our sports program. I think that's very

1 important to talk about that. Gary, you might want to  
2 discuss that.

3 MR. ADAMS: Just more people looking.

4 MR. BOUDREAUX: Ver -- you know, we're kind of  
5 getting a real reputation as having a sports education  
6 facility where people come for camps, whether it be  
7 football, or baseball, or basketball, soccer, or  
8 whatever.

9 And as a matter of fact, the Chamber of  
10 Commerce will be hanging banners in the summer, summer  
11 banners, and when they go up, they will have a sports  
12 theme. We're still working on a lot of projects. I  
13 think the last time we met, we were still showing a  
14 lot of tire kickers, and a lot of things, and we  
15 reported that to this group.

16 Since that time, the stock market has kind  
17 of gone flaky, and things just kind of stopped. Well,  
18 if the stock market goes back up, I think we'll  
19 probably see more activity. Right now, there's not a  
20 whole lot going on. That's all I have, unless there's  
21 questions.

22 MR. BRECHEEN: Okay. Anything else?

23 (No audible response.)

24 MR. BRECHEEN: Is there a Motion to Adjourn?



1 MR. BOUDREAU: This meeting date, is that when  
2 you want to go? Do you want to go at 7 again, or do  
3 you want to go at 6?

4 MR. ADAMS: 6 is fine with me.

5 MR. BOUDREAU: 6 is good, we get home soon.

6 MR. BRECHEEN: Okay.

7 MR. BOUDREAU: Now, this is going to be on a  
8 Thursday not -- it's back to Thursday instead of  
9 Wednesday, and I think the reason we didn't meet this  
10 time is because it's the day before good Friday. Is  
11 that the reason? Church programs Maundy Thursday.

12 MR. BOUDREAU: 6:00 on the 7th; is that right?  
13 Is that the time, Tim?

14 MR. BRECHEEN: 6:00, okay. Thank you all.

15 HEARD AND TAKEN  
16  
17  
18  
19  
20  
21  
22  
23  
24

C E R T I F I C A T E

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24


I, H. Lori Bernardy, a Notary Public, Certified Shorthand Reporter, do hereby certify that on the said date, April 11, 2001, the foregoing Proceedings were taken down in shorthand by me and afterwards reduced to typewritten form, and that the foregoing transcript contains a true and accurate transcription of all such shorthand notes.

I further certify that I am a disinterested party to the proceedings herein, and that I am not a relative of any of the parties hereto, or their attorneys, that I am not in the employ of any of the attorneys for the parties hereto, and am not otherwise interested in the outcome of this cause of action.

In witness whereof, I have hereunto set my hand affixed my seal this 13th of April A.D., 2001.

*H. Lori Bernardy*  
Notary Public and  
Certified Shorthand Reporter

License No. 084-004126



**FINAL PAGE**

**ADMINISTRATIVE RECORD**

**FINAL PAGE**