



CHANUTE AFB ILLINOIS

ADMINISTRATIVE RECORD COVER SHEET

AR File Number 3364.1

File: 25A
D.H.

STATE OF ILLINOIS)
) SS
COUNTY OF CHAMPAIGN)

ORIGINAL


**BEFORE THE
RESTORATION ADVISORY BOARD**

IN RE: CHANUTE AIR FORCE BASE)

PUBLIC MEETING HELD

December 10, 1998

Aviation and Development Office
One Aviation Drive
Rantoul, Illinois
7:00 p.m.



*Affirmative
Reporting
Company*

1478 Glenn Drive Decatur, IL 62526

(217) 875-1414 (800) 886-DEPO FAX (217) 875-1472

STATE OF ILLINOIS)
) SS
COUNTY OF CHAMPAIGN)

BEFORE THE
RESTORATION ADVISORY BOARD
IN RE: CHANUTE AIR FORCE BASE)

PUBLIC MEETING HELD

December 10, 1998

Aviation and Development Office
One Aviation Drive
Rantoul, Illinois
7:00 p.m.

AFFIRMATIVE REPORTING COMPANY
1478 Glenn
Decatur, Illinois 62526
(217) 875-1414 or (800) 886-DEPO
Fax (217) 875-1472

1 for Jacobs Engineering. I'm one of the contractors
2 that work out there on the project for the
3 landfills.

4 MR. MASON: I'm Tom Mason. I work for
5 Jacobs, as well. I'm the field team leader. I'm
6 in charge of site activities.

7 MR. IANNACONE: I'm Al Iannacone. I'm a
8 chemist with Jacobs.

9 MR. LOFTIN: Al Loftin, AFBCA in
10 Washington.

11 MR. SETTLE: Kerry Settle, Grissom AFBCA.

12 MS. DELGADO: Sylvia Delgado, University
13 of Illinois, Division of Environmental Health &
14 Safety.

15 MR. ADAMETZ: My name is Robert Adametz.
16 I'm also with the University of Illinois
17 Transportation Research Lab out on the south side.

18 MR. WARMBIER: Kurt Warmbier, AFBCA.

19 MR. BRADY: Dan Brady. I'm the field
20 engineer for AFCEE watching the contractors perform
21 the cleanup out here.

22 MR. THOMAS: I'm Craig Thomas with USEPA.

23 MR. VILLNOW: I'm Jeff Villnow with The
24 Environmental Company.

1 MR. WILLIAMS: I'm Dean Williams. I work
2 for Jacobs Engineering. I'm a contracting officer
3 for Chanute.

4 MR. NUSSBAUM: Steve Nussbaum, former
5 Illinois EPA project manager.

6 MR. BOUDREAUX: I'm Ray Boudreaux I'm
7 with the Village of Rantoul.

8 MR. RICE: I'm Charlie Rice, team chief
9 for AFCEE, taking the place of Cynthia Kroll.

10 MR. KUHN: I'm Kevin Kuhn. I'm in charge
11 of the chemistry and risk assessment out at AFCEE.

12 MS. RAUCH: I'm Barbara Rauch, resident.

13 MS. PANZER: Betty Panzer, resident.

14 MR. SUITS: I'm Virlon Suits. I'm the
15 environmental coordinator here at Chanute.

16 MS. WIEGES: I'm Lorraine Wieges, Rantoul
17 Garden Club.

18 MR. SCHAFER: Gary Schafer, USEPA project
19 manager.

20 MS. HOLLIS: Kimberlee Hollis, Illinois
21 EPA project manager.

22 MR. MITCHELL: Tim Mitchell, News
23 Gazette.

24 MR. SUITS: Very well. Thank you.

1 Welcome to the new people here. At this time, I
2 have passed out the minutes from the last meeting.
3 I would ask that you review those. And at the next
4 meeting, we'll take action on those to approve
5 those just the way they're presented if there are
6 no corrections. If from the Village of Rantoul
7 side of the house, if the review is made to Ray,
8 please call in the corrections to me. And also,
9 Barbara, I do have extra copies here so in the
10 event that Jackie and Carl don't show up, I'll
11 certainly give you a few extra copies. Give me a
12 call, and we'll make those corrections. These are
13 taken from the court reporter minutes from the last
14 meeting, so we do hope that they are accurate.

15 The minutes from the meeting before, I
16 had gone ahead and passed those out. I didn't have
17 any comments back on those. I guess that would be
18 back from the August meeting. So if no one had any
19 corrections on those, I guess I would call those
20 approved as they are put together.

21 Third slide I have here and to basically
22 start off before we start in on the projects is to
23 have our new team chief come up and say just a few
24 words about quality assurance and the work that we

1 do.

2 MR. RICE: Again, I'm Charlie Rice. I
3 work for the Air Force Center for Environmental
4 Excellence. I've taken over for Cynthia Krall who
5 is leaving on maternity leave shortly to have her
6 baby.

7 I just want to say a few words about the
8 data that we're generating for Chanute Air Force
9 Base and emphasize what we're trying to do with
10 that data. One of the things we want to be sure we
11 have is quality data, data that won't be rejected
12 for any reason down the road. All of the work that
13 we're doing is based on the data that we generate.
14 This is the most important thing about what we do.

15 And having said that, I'll let you all
16 know that we are in the process of reviewing our
17 quality procedures in making sure that data we do
18 generate is acceptable, and we plan on having our
19 review of that of those procedures provided in
20 phases starting at the end of this month and in
21 early January, too, both EPA and IEPA.

22 That's basically it. I just wanted you
23 all to be aware that is what we're striving for
24 with the program at Chanute Air Force Base.

1 MR. SUITS: Charlie, one thing I want to
2 add to it is the main reason that we're really
3 after quality on this is because of the OU-2. This
4 was one of the big issues.

5 MR. RICE: We would be after that
6 anyway.

7 UNIDENTIFIED SPEAKER: We're really
8 getting a microscopic look at that. If there's any
9 questions on that, I'll open myself up here. The
10 data has to be able to be used and to justify and
11 analyze the risks associated with what we find in
12 our conclusions. If it's not good data, everything
13 we have done is just a waste of time and money. We
14 want to make sure that does not happen with the
15 cooperation of IEPA and EPA.

16 MR. SUITS: Thank you, Charlie. The
17 fourth item on the agenda is that of the landfills,
18 and Brian Rundell is with us again. Brian, you're
19 on.

20 MR. RUNDELL: I've got a copy of the
21 slides. I'm going to be brief and try to
22 accommodate Ray. Basically, the landfills I spoke
23 last time about the documents that we're doing to
24 insure that the data we collect meets the

1 objectives of the remedial investigation. Those
2 documents are prepared, and then they're given to
3 the regulatory agencies for review after AFCEE has
4 reviewed them.

5 One of the bigger documents that really
6 governs what we do in the remedial investigation
7 for the landfills, that's been completed. Also the
8 background investigation work plan has been
9 completed.

10 We have two more documents that currently
11 are in review by USEPA and IEPA, the field sampling
12 plan. It focuses on the actual procedures of the
13 field that we use to collect the data. Then the
14 Quality Assurance Project Plan which is a document
15 that basically dictates the quality procedures that
16 the laboratory will use to insure as Charlie
17 indicated that the data is of acceptable quality to
18 use for risk assessment and other purposes that are
19 necessary to achieve the objectives of the RI.

20 And also just to let you know, starting
21 in January of this year, you probably see -- I
22 think TEC already has some rigs out there --
23 you'll see some more drilling rigs. We're going to
24 start doing what we call pallet borings. I spoke

1 about this in the last meeting, but I'll go over it
2 really quick.

3 Basically, to determine where a well
4 screen should be placed and to determine where the
5 best location is, both in the shallow at the site
6 and the Illinois, before we put those wells in,
7 we're going to drill borings and look at the
8 pathology. The borings will have continuous soil
9 samples, and that will allow us to determine the
10 most appropriate place to put our monitoring wells
11 to monitor the site and to determine flow
12 directions and basically provide that data for the
13 RI which is necessary to characterize the
14 hydrogeology and geology of the site. So that's a
15 pretty major activity that will be taking place in
16 January. That's a necessary precursor for going
17 ahead and getting into the real meat of the RI.

18 I guess that's pretty much a summation of
19 the landfills at this time, the work that we're
20 doing. I would ask if there's questions about the
21 information I presented or other issues.

22 MS. RAUCH: What does DPT mean?

23 MR. RICE: DPT stands for Direct Push
24 Technology. All that basically means, in the last

1 ten or so years, there's been some innovations in
2 drilling techniques. I think the CPT which is kind
3 of the grandfather of this has been around for a
4 while, but it allows us to push a tube into the
5 ground, a hollow tube, without actually using a
6 drill rig. A fairly small rig can be brought in to
7 push a tube into the ground to check soil samples
8 to a depth up to about 60 to 70 feet under ideal
9 conditions.

10 It's a way for us to go into the in the
11 shallow aquifers and quickly drill a lot of holes
12 and get soil samples at a reduced cost. It's a
13 fairly innovative technology that has been really
14 widely accepted under new methodology in doing
15 these RI investigations.

16 In contrast, the Illinois borings will be
17 a little bit more conventional drilling, although
18 it's a rotosonic (phonetic) technique which is a
19 more advanced technique. It's more of a rigorous
20 methodology which requires a much larger drill rig
21 and more time and effort to do the work. Is there
22 other questions?

23 MR. SUITS: Very well. We'll go into the
24 other portion of the work which is located in the

1 OU-2. And for the benefit of the new folks that
2 are here, the area beginning right here on around
3 is considered Operable Unit 2 consisting of roughly
4 427 acres. The rest of the base is another 1,700
5 acres roughly. That's all Operable Unit 1.

6 For the benefit of the folks that are new
7 here, the landfills which Brian just spoke of are
8 located in this location, this location, this
9 location and Landfill 4 over here. There's four
10 landfills consisting of about 80 acres, and the
11 other two projects that are associated with
12 landfills which Brian has with his contracts are
13 the Salt Fork Creek which winds its way through
14 basically Operable Unit 2 and then also Heritage
15 Lake here since it is in close proximity with the
16 base.

17 The other areas which Jeff Villnow with
18 The Environmental Company will be briefing here as
19 Agenda Item No. 5 are also located in this area.
20 At any rate, you can go ahead and point those out
21 if you wish to help the people out.

22 MR. VILLNOW: Let me start by just quick
23 agenda with some of the things that I would like to
24 talk about for five or ten minutes tonight, an

1 overview of some of the work we've been doing out
2 here for the last month or so. These are things we
3 talked about at the last RAB meeting. I'll kind of
4 bring you up to date on what we've been doing, our
5 accomplishments and then some of our plans for the
6 next several months, as well.

7 As Virlon said, we have been referring to
8 this as the OU-2 7 sites remedial investigation.
9 We actually have ten buildings in our scope of work
10 that we're looking at, and we're taking a very
11 comprehensive look at all the potential sources of
12 contamination in all ten of those buildings. It's
13 probably more accurate to put OU-2 sites RI or the
14 OU-2 RI instead of the OU-2 7 sites. Just as a
15 point of clarification, there are more than seven
16 sites involved.

17 I thought it would be beneficial just to
18 reiterate before I give you an overview of what
19 we've done to remind everyone what it is that we're
20 supposed to be doing. The scope of work in our
21 contract calls for a remedial investigation at
22 these ten sites. The objectives of an RI are to
23 determine the nature and extent of the
24 contamination completely, to do a risk assessment

1 and from using that information to figure out what
2 we need do to clean the property up.

3 Normally in an RI when you start one of
4 those, the assumption is there's a lot of
5 background information available that you can use
6 to design remedial investigations. As we've gone
7 along in the last year that our team has developed
8 and Brian's and other people, we've found that we
9 needed to know more preliminary information about
10 these sites before we could really do a good job
11 with the RI.

12 Two months ago at the RAB meeting, we
13 presented what we were calling a field screening
14 investigation work plan. That's designed to help
15 us gather additional preliminary information that
16 we can use to focus on the RI. Ultimately we'll do
17 the whole job quicker, cheaper and get lots better
18 data out of the effort.

19 Right now, we're in the field screening
20 stage. We're doing things with less than full RI
21 quality techniques. It makes it quicker, faster,
22 cheaper and helps us focus to the real
23 investigation a little later on.

24 Again as a reminder, our field screening

1 activities are really five major efforts involved.
2 What we have been calling source identification, a
3 geologic investigation followed by a hydrologic
4 investigation and then an investigation of the
5 shallow unsaturated soils which is typically from
6 the ground surface to 5, 6, 7, 8 feet, something
7 like that, and then an investigation of the shallow
8 Wisconsin and groundwater, again all with very
9 rapid field screening types of techniques that is
10 somewhat different than what you would use in a
11 full-blown remedial investigation. So that's what
12 we've been working on. The source identification
13 and the geologic investigation are the activities
14 that we've been working on over the last six weeks
15 out here.

16 In terms of the source identification
17 tasks, that primarily consists of record searches,
18 which we did last summer. Then we've done
19 geophysical studies more recently initially in
20 August of last year or this past summer. We did
21 surface geophysical work at our original sites.
22 We've since gone back in and done additional
23 geophysics work except for two.

24 EM stands for electromagnetic

1 conductivity. Magnetometer surveys are kind of
2 complimentary surveys that we can use. We drag
3 instruments across the surface of the ground. It
4 helps us find subsurface anomalies like buried
5 pipes, possible tanks, buried pieces of metal,
6 things we might be concerned about when we're doing
7 an investigation. We can do that very quickly and
8 cheaply from the top of the ground without digging
9 holes. It helps us get an idea of what we might be
10 dealing with out there.

11 So again, we've completed both of these
12 activities. We'll be back out next Monday for
13 about another week to do magnetometer surveys on
14 the expanded grids that we started about three or
15 four weeks ago. That's all just recent so I don't
16 have any information I can actually give to you and
17 show you what we found, but those are some of the
18 activities that we've accomplished.

19 The other major thing that we've done is
20 to work on our geologic investigation. Again, the
21 objective there was to determine what we were
22 dealing with in the shallow subsurface so that when
23 we come back in the RI, we know exactly where to
24 drill wells. We know exactly where we want to put

1 well screens. We know where to go look for the
2 water when we're doing a groundwater
3 investigation. This activity was designed to help
4 us figure that out beforehand.

5 We did penetrometer surveys earlier in
6 the year. As Brian said, that's kind of a
7 technique where you can quickly push a rod into the
8 ground and get an indication of what the geologic
9 formation is like. You can tell whether you're
10 pushing through clays and sand for example. We did
11 that work more recently again in the last couple of
12 weeks.

13 We've been out with drill rigs and
14 drilled 65 holes to help confirm what we saw with
15 the CPT survey. As a part of that effort, we
16 collected samples as we went along. We've been
17 running those samples through our field screening
18 program, up to six different analytical screening
19 techniques. That work is still in progress.

20 I don't have any information to share
21 about what our status is on it except again that
22 we've collected 237 samples. We're in the process
23 of screening through those. 49 of those we've
24 submitted off site to determine grain size of the

1 formations. That helps us design good wells later
2 on. We take 13 of those samples. We send them off
3 to an off-site laboratory. The results we get
4 back, we compare to what our field screening data
5 are telling us. It helps us to check to make sure
6 the field screening approach is working. In
7 addition, 18 that we've sent off strictly is
8 quality control kinds of samples. We'll rinse our
9 equipment with blank water, send that off to a
10 laboratory and make sure that our equipment is
11 clean when we're doing our work. That's again a
12 quick summary of what we've been up to.

13 My last slide, what are we up to next?
14 We expect to be back out in early January to do
15 reconnaissance and records search activities at
16 Buildings 923 and 937 which are brand-new buildings
17 for us. And towards the middle or the end of the
18 month, weather permitting, we'll be back out to
19 start our hydrologic work and our shallow soil zone
20 work and our Wisconsin and groundwater work. At
21 that point in time, we expect we'll have 10 to 15
22 people and a couple of drill rigs going to give you
23 a sense of the level of effort and kind of
24 activities that we have planned. Any questions?

1 MR. SUITS: A few of the things here that
2 are also physical things that you may or may not
3 see out in the field have to do with the fire
4 training area, too, and with the Building 932
5 sites. Both of these sites for the benefit of the
6 new people are what they call acronym EE/CA sites,
7 Engineering Evaluation Cost Analysis, and those are
8 located at the 932 site in this area.

9 And as I brought out before, the fire
10 training area site is here. We will be working on
11 securing for these two particular sites for this
12 particular year and along with that Fire Training
13 Area 2, work that will start fairly quickly, and
14 I'll let Tom Mason brief that for the benefit of
15 the group. It's called the free product removal.
16 So with that, Tom, you're on.

17 MR. MASON: Like Virlon said, the first
18 project on status is a time critical removal
19 action, FTA-2. The activity that we've completed
20 to date include the installation of a temporary
21 site dewatering system. There are three holding
22 ponds that contain water. We've removed that water
23 from the site and then conducted the slug tests
24 from which we determine the hydraulic conductivity

1 at various locations on the site from piezometers
2 that were installed last year.

3 Based on that information, we selected
4 locations. These are planned activities. Based on
5 that information, we plan on conducting free
6 product recovery tests. And based on that slug
7 test data, the hydraulic conductivity data, we
8 selected 12 locations. Hydraulic conductivity is
9 the way water flows to the site, the speed at which
10 water flows to the site and the properties by which
11 the water flows to the site. And so after
12 collecting these measurements to determine which
13 locations are proper for conducting the free
14 product recovery test...

15 The free product recovery test is
16 something I want to spend a little bit of time on.
17 That involves bringing some heavy equipment on
18 site, an excavator, actually opening up a small
19 pit. The folks that will be performing that
20 activity will be wearing personal protective
21 equipment, wearing a mask, a respirator with
22 cartridges to protect them from potential organic
23 vapors that may exist from the contaminants that
24 we're investigating. I guess the objective of this

1 activity is to determine product thickness and to
2 determine the concentration of any product that we
3 might find.

4 MR. BOUDREAU: The free product is
5 mostly JT-4, jet-type fuel, but they did burn other
6 things. Mostly it's jet fuel.

7 MR. MASON: Free product means visible
8 fuel product as opposed to just a water layer. So
9 a sample will be collected of that free product.
10 Tests will be conducted to determine the thickness
11 of that product. And all this information is going
12 to come together, and we'll utilize that to design
13 a free product removal system. This system will be
14 designed in the spring and then installed in the
15 summer, and that's what's the plan for FTA-2. Any
16 questions on the time critical removal action?

17 I have just one other slide I wanted to
18 mention about what's going on with the EE/CA that
19 was mentioned earlier and quick status on the tasks
20 that have been completed at FTA-2 and Building
21 932.

22 We conducted field screening and
23 step-outs on a grid. By step-out, I mean that test
24 kits were used. When a positive result was

1 detected, we continued to step out on the grid
2 until a non-detect was accomplished, and that
3 information is utilized to define lateral extent of
4 contamination on the site and will be utilized
5 later in the EE/CA report which is being generated
6 right now.

7 Other activities that were completed,
8 soil gas samples were collected. A geotechnical
9 investigation was conducted. On the same grid
10 note, samples were collected and sent off for
11 geotechnical analysis to better understand the
12 geology on the site and the geotechnologies of the
13 soil. And then finally, samples were collected for
14 chemical analysis, and I stated this data is being
15 combined right now into an EE/CA report where
16 determinants are being selected for those two
17 sites.

18 MR. BOUDREAU: How big was your site
19 after you did your sampling? How far out did you
20 go?

21 MR. MASON: We were using three different
22 types of test kits for three different parameters.
23 On 932, we stepped out nearly to the edge of the
24 area we gridded towards the fence there, and this

1 information again will be presented in the EE/CA
2 report graphically.

3 MR. BOUDREAUX: Did you do a similar test
4 over at FTA-2?

5 MR. MASON: Yes.

6 MR. BOUDREAUX: Did it extend past the
7 boundaries of the fence?

8 MR. MASON: Yes.

9 MR. BOUDREAUX: How far out did that go?

10 MR. MASON: Just beyond the fence
11 perimeter. That information will be presented
12 graphically, as well. It's better depicted with a
13 figure.

14 UNIDENTIFIED SPEAKER: He's talking about
15 a screening technique. It changes color. You read
16 a color in this kit. Without spending all the
17 money on labs, you can just mix it up and look at
18 this vial and put it in basically a spectrum.

19 You get a color reading out of it, and it
20 tells you whether or not you have a contaminant
21 there to a certain level or not. It's not
22 definitive. It's just a good screening technique
23 of whether it's there or not at a specific
24 concentration.

1 MS. RAUCH: Once we get this done, then
2 what are you doing?

3 MR. MASON: This information is used to
4 develop the cleanup strategy, basically finding out
5 the chemical properties of the site and geology
6 properties of the site and then determine the
7 fastest, cheapest, easiest way to clean up any
8 problems that we may find.

9 MR. SUITS: The cleanup being referenced
10 there would be the soil cleanup, the groundwater
11 portion.

12 MS. RAUCH: So we're not to step one
13 yet?

14 MR. SUITS: As far as remediation, the
15 first step will be the soils.

16 UNIDENTIFIED SPEAKER: You're doing the
17 free product?

18 MR. SUITS: That's step one.

19 MR. MASON: Any other questions?

20 MR. SUITS: On your agenda, there are two
21 more bullet items. One is monitoring well
22 close-out. It probably seems confusing; however,
23 there are a number of monitoring wells that we have
24 used and that have basically outlived their

1 usefulness and do need to be sealed up and closed
2 out. That work will be ongoing this year.

3 Also in the last several months, there
4 has been a remaining tank found on the base. We
5 felt we had all the tanks out. But in some work
6 that was ongoing, it was discovered that there
7 indeed was another tank. That tank will also be
8 removed shortly after the first of the year so that
9 we get that out there shortly.

10 That tank is located between the caddy
11 shack and the Building 747, the old airplane
12 hangar. We believe it was a heating fuel tank that
13 serviced both buildings. It's not in the parking
14 lot. It's out in the grassed area. I'll show you
15 on the map. Any questions relative to that?

16 While I've got the map, you'll recall I
17 mentioned Operable Unit 1. Steve Nussbaum was kind
18 enough to pass out maps to you. I did not mark on
19 this map here. On that particular map are the
20 current Operable Unit 1 sites. If you'll research
21 your minutes, you'll notice I briefed basically
22 five sites last time, and we had developed
23 narratives and documentation on the basis of those
24 sites.

1 Over the past two months with some work
2 that we've done, research work, we have found three
3 additional sites. One is the pistol range which is
4 the first black circle on your list. There is a
5 skeet range which is located in this area. Up here
6 on the edge of the golf course, there was a rifle
7 range. Those have been added. Also with the 1917
8 era base, there was a row of buildings basically
9 located along here which also included a steam
10 plant. It also included various other training
11 type of facilities. That is also contained in what
12 we are now calling I guess the World War I era
13 base. The original base consisted of about 640
14 acres configuration, something like this. All the
15 support buildings as I say are still contained
16 somewhat by the streets that are still in place,
17 and it's in that general area where we will focus
18 our attention with that.

19 Just for the sake of pointing out the
20 rest of them for those that were not here last
21 time, the coal yards. Ever since the new plant was
22 in, they stored coal up until the early '70s when
23 the acres became available was this area here out
24 on the ground surface. I think you'll recall last

1 time I indicated that there were methods of dust
2 control that was used which involved some
3 chlorinated solvents historically with coal piles.
4 So we don't know that for sure. We're going to go
5 ahead and test for that and make sure that we have
6 that area addressed.

7 Back up to 747 here, there were also some
8 groundwater tests taken just off the southwest
9 corner of Building 747. In both rounds of
10 sampling, we ended up with chlorinated solvents
11 there, so those will be tested.

12 During some of the Air Force open house
13 activities, one photograph here showed an area
14 where they had like a temporary fire demonstration
15 area set up, and that particular area will also be
16 examined to see and investigated to see what may
17 still be there.

18 At one of the Restoration Advisory Board
19 meetings, one of the local residents that worked at
20 the base here for a good many years called out an
21 area out here in the apron where carbon
22 tetrachloride was found. That's the circle there.

23 Lead up here in the playground. We've
24 talked about that before. That's also going to be

1 in this remedial investigation feasibility study
2 report.

3 Just to make sure, checking as far as the
4 paint that's on the water towers. We know that
5 these have at least not got paint on them now. But
6 we're certain at some time in the past, there was
7 lead-based paint on there because every one of the
8 towers here was in a checkerboard fashion which
9 certainly included the lead-based paint. The most
10 recent painting practice involved a fairly good
11 containment system. We certainly don't know for
12 sure in fact 30 or 40 years ago when these were
13 painted whether those practices were in place.
14 Possibly not. So we have gone ahead and added
15 those.

16 So all in all, that gives us ten basic
17 sites that will be investigated in this OU-1, what
18 we call the Operable Unit 1 remedial investigation
19 and the feasibility study.

20 MS. RAUCH: Where it says scoped, what
21 does that mean?

22 MR. SUITS: That's my next item. The
23 documents that we referred to last time and with
24 what we've added now, we will have a meeting in

1 January with the EPAs, and we will go ahead and we
2 will scope out the project as far as what we will
3 actually do in terms of numbers of tests and what
4 we will be testing for and that sort of thing and
5 finalize that documentation for funding to
6 accomplish the investigation. Any other
7 questions?

8 The eighth item on the agenda is the
9 sampling of the off-base residential wells which
10 were accomplished right at two months ago, and I
11 have with me Mr. Kurt Warmbier who is in my office
12 who will brief that particular slide.

13 MR. WARMBIER: As part of the base
14 project to delineate groundwater around the base
15 and see what's happening, we sampled three
16 residential wells off base, and the findings of
17 concern after consulting with Illinois EPA, USEPA
18 and the Illinois Department of Public Health are
19 listed on here.

20 The first one, manganese, is what used to
21 be called a secondary water quality standard. It's
22 generally not considered a health-based standard,
23 but it may affect the color, the taste, the odor in
24 the water.

1 The second item of concern found in one
2 of two duplicate samples at one well was a
3 concentration of lead above MCL. MCL stands for
4 maximum contaminant level. It's a federal primary
5 drinking water standard. Concentrations that
6 exceed the MCLs are considered hazard to health.
7 And in the final group of chemicals of concern were
8 dioxins and furans, and a bunch of them detected
9 all below MCL levels. Any questions?

10 MS. RAUCH: What does one of two
11 duplicates mean?

12 MR. WARMBIER: There were two water
13 samples taken from this well, one after the other.
14 One sample had lead above the MCL. The other
15 sample did not. I will be getting to some of these
16 questions.

17 MR. SCHAFER: Barbara, if I could, the
18 purpose of duplicate samples is another quality
19 control measure. Typically, we'll collect a
20 certain amount of samples, and there will be
21 because of the QA requirements a certain amount of
22 duplicates. And generally speaking, the results
23 from the duplicate should be very close to the
24 results of the same.

1 MR. WARMBIER: You should expect similar
2 results from both samples.

3 MR. SCHAFER: It's the same sample poured
4 into different bottles. That's kind of something
5 that's kept from the lab. The lab doesn't know
6 that. It's a good way to evaluate the laboratory's
7 performance.

8 MR. WARMBIER: That could possibly
9 indicate a problem with the lab site rather than
10 the well site. But at this point, we don't know.

11 MR. NUSSBAUM: That first slide you put
12 up, you mentioned manganese as a secondary standard
13 for taste, odor and color. The Illinois
14 Administrative Code 620 are health-based
15 standards. And manganese, the concentration that
16 we reference in our regulations is based on the
17 reference.

18 MR. WARMBIER: That information was based
19 on my conversation with the Public Health folks for
20 the odor, color and taste.

21 MR. NUSSBAUM: When we promulgated the
22 groundwater quality standards, Class I, those are
23 drinking water quality standards. We developed
24 that number based on a health-based standard.

1 MS. CLIFTON: Who was the outside agency
2 that tested these samples?

3 MR. WARMBIER: Our contractor who pulled
4 the samples or the lab who actually tested them?

5 MS. CLIFTON: Who was the testing lab?

6 MR. WARMBIER: In Chicago.

7 UNIDENTIFIED SPEAKER: It's in University
8 Park, a suburb of Chicago.

9 MR. WARMBIER: They did all of the water
10 except for the dioxin furans, and that was Triangle
11 & Durham in North Carolina.

12 MS. CLIFTON: A lot of the test results
13 because I'm one of the people that was tested are
14 estimated. The test results because of the methods
15 they used could not accurately determine those
16 levels. What are you prepared to do to make sure
17 that the right testing methods or protocol are used
18 to make sure exactly what's in there and not just
19 guess?

20 MR. WARMBIER: For your benefit, our
21 person for AFCEE, he just described the RFS data
22 earlier about some problems with data quality.
23 Unfortunately, there are some data quality issues
24 here, as well, that we will point out.

1 MS. CLIFTON: Was this lab previously
2 certified before you guys sent your samples up
3 there?

4 MR. WARMBIER: Yes, it was.

5 MS. CLIFTON: Have you used them in the
6 past?

7 MR. WARMBIER: Not for work on Chanute.

8 MS. CLIFTON: My question is, why do you
9 doubt their capability now after you get the test
10 results back?

11 MR. WARMBIER: It's not a doubting of
12 their capability. It actually goes to issues of
13 instrument calibration and meeting certain quality
14 control, quality assessment that the Air Force sets
15 that may be higher than what the lab typically does
16 maybe on a routine sampling for somebody else.

17 MS. CLIFTON: Do you search them out
18 before you send the samples out to be tested? The
19 only reason I ask is I have a scientific
20 background, and I used to be a quality control
21 manager and with push for QS9000 and especially
22 because I have data from Edwards Air Force Base, it
23 would seem to me that you guys would search this
24 out before you would send these samples out to be

1 tested.

2 I guess my concern is, even if you do
3 re-sample it, what level of confidence do we as the
4 public have that those test results are going to be
5 better than what they initially were?

6 MR. WARMBIER: No. 1, we are
7 re-addressing the QA/QC issues and firming those up
8 before we re-sample and go out. No. 2, unless we
9 actually had as many people hired to go and stand
10 and look over the shoulders of people in the lab,
11 you have to at some point trust what the lab is
12 doing. And a lot of this, you can't really...
13 When the data comes back is when you really find
14 out whether or not the lab is performing.

15 MS. CLIFTON: True, but it seems to me
16 that the Air Force has test facilities that they
17 used in the past and should have some level of
18 confidence without going out to some new test
19 facility.

20 UNIDENTIFIED SPEAKER: The lab has been
21 used for work at other air forces like Otis Air
22 Force Base in Massachusetts on Cape Cod. It just
23 previously hasn't been used for work at Chanute.

24 The lab has been audited by folks

1 associated with work at Chanute where both
2 representatives of Jacobs and representatives of
3 the Air Force have been out to conduct on-site
4 inspections of the lab and review their QA records
5 and that kind of oversight.

6 There's some concern about this
7 particular data set, so we're going to revisit the
8 issue with the laboratory. However, we have not
9 seen problems across the board with this lab;
10 otherwise, they would no longer be participating in
11 the Air Force's program.

12 MR. VAN NESS: The invalidated
13 non-detected side, any idea what the dioxins and
14 furans are moving in on? That's highly
15 water-soluble.

16 MR. WARMBIER: It's not something you
17 would expect to find in a drinking water sample.
18 And without more testing, there's really no way
19 that we can actually pinpoint how they got there,
20 where they came from, why they're there.

21 MR. BOUDREAUX: There's too many
22 questions to rely on the initial sampling round,
23 and so the only logical thing to do is go back and
24 do it again. That's what you're planning on

1 doing?

2 MR. WARMBIER: Right. We've sent out
3 letters to all the owners and uses of those wells
4 requesting permission to come back to perform
5 another round of sampling.

6 MS. CLIFTON: I would like to suggest
7 that if you do that, we pull duplicate samples, and
8 the general public be allowed to pick their own
9 private testing service to let them also analyze.

10 MR. WARMBIER: In the next round of
11 sampling, there will be splits made with both USEPA
12 and IEPA, so there should be three separate.

13 MS. CLIFTON: Not pulled by you, but that
14 we can choose on our own to be sampled by a
15 third-party source.

16 MS. HOLLIS: I think if that's what she
17 wants, she should get it.

18 MS. CLIFTON: The only reason I say that
19 is I've talked to several people in this room that
20 will go nameless, and there's some considerable
21 concern including myself for how long the Air Force
22 has had these results. Several of us in this room
23 had to call and get the results only to find out
24 that we had contaminated drinking sources. For you

1 people on public water, that may be fine.

2 My real question is, there was big
3 debates I understand amongst this whole group as to
4 interpretation of the results and/or what was
5 needed to be done. The fact that we had to call
6 and get that information and find out that we
7 should be on bottled water, I would really like to
8 know how long you guys have had the results and
9 have known that and failed to share that with those
10 of us that are involved.

11 MR. WARMBIER: I wouldn't say it quite
12 that firmly about the alternate water use.

13 MS. CLIFTON: I would.

14 MR. WARMBIER: At this point to be
15 conservative and on the safe side, we are providing
16 an alternate source of drinking and cooking water.
17 Until further tests are made, we don't know whether
18 or not there is a problem in this water. That's
19 why we need to do additional tests.

20 MS. CLIFTON: What if I told you eight
21 years ago, that well was sampled and there was
22 absolutely no contamination in it whatsoever and
23 the fact that you failed also until I found out
24 from another person in this room who called me that

1 the level of dioxins and furans was at the
2 threshold level for my children which was also
3 failed to be put into the report. I understand
4 this is an area where not a lot of people know, but
5 I don't feel you guys should be making that
6 decision for us.

7 MR. WARMBIER: That's why we offered the
8 water to you.

9 MS. CLIFTON: I was not given the
10 option. I didn't find out until I got the letter
11 in the mail. Another lady in this room didn't even
12 know about it until she made a phone call. It's my
13 understanding the recommendation was made from
14 several of the health service agencies over a week
15 and a half ago, and just today was when the water
16 was delivered to my house after I got the
17 registered letter Tuesday.

18 I really would like to know, when were
19 these results known? And why are we just finding
20 out about them now? It's my understanding it's
21 been several weeks that these have been in
22 controversy.

23 MR. WARMBIER: I've been involved just
24 this week and --

1 MS. CLIFTON: The report was already done
2 last week, so it couldn't have been this week.

3 MR. WARMBIER: I mean last week was the
4 first week I was here at Chanute. I believe we
5 attempted to contact you by phone last week and
6 were unable to do so.

7 The Illinois Department of Public Health
8 didn't have their assessment prepared until the
9 beginning of last week. Until we got the data
10 analyzed to determine valid data and potential
11 risks after consulting with the Illinois Department
12 of Public Health, Illinois EPA and USEPA and our
13 own folks, we contacted all of the users.

14 MS. CLIFTON: Who contacted all of the
15 users?

16 MR. WARMBIER: Mr. Suits.

17 MS. CLIFTON: No, he did not.

18 MR. WARMBIER: Then we followed that up
19 with certified mail.

20 MS. CLIFTON: You still haven't answered
21 my question. How long have you had the test
22 results? And how long have you been discussing
23 what needed to be done?

24 MR. WARMBIER: I don't know when the test

1 results came in.

2 MS. CLIFTON: You don't need to answer.
3 You already gave me your answer.

4 MR. SUITS: The initial test results were
5 received by our office the first week of November.

6 MS. CLIFTON: Okay. This is December.
7 So a whole month you've withheld that from us. I
8 don't feel that's right, and that's why I'm
9 concerned about having a private third party so we
10 can get them on a timely basis.

11 Even if you needed to validate it, if
12 there was data that even suggested any kind of
13 health risk or implication, that should have been
14 presented forward to those people that were
15 involved. I don't feel it was handled in a very
16 timely manner nor in a very satisfactory manner.

17 MR. WARMBIER: Going on. As I said,
18 there were some problems with the sampling quality
19 in this data which also further underscores the
20 need to re-test.

21 As I said, there were too many
22 invalidated non-detects. Basically all the DOC,
23 SCOC, pesticides and PCB data. There were some but
24 far too many to be acceptable. And then

1 additionally, certain results resulted in flags
2 that indicated they were merely estimates of values
3 due to either interference from other chemicals
4 either in the system, in the sample or
5 concentrations that come up underneath what are
6 called the lab reporting level where you have
7 confidence that a chemical was detected, but you
8 aren't sure whether or not the quantity that is
9 theirs is accurate.

10 MR. BOUDREAUX: Are these samples taken
11 from the well or from the house? How are they
12 taken?

13 UNIDENTIFIED SPEAKER: Two of them were
14 taken directly from the well or a spigot right near
15 the well. Mrs. Panzer's was taken at a spigot at
16 the back of her house.

17 UNIDENTIFIED SPEAKER: What percentage is
18 too many under the protocol that you're using?
19 Invalidated non-detect, what percentage are you
20 using?

21 UNIDENTIFIED SPEAKER: Really you don't
22 want to see any especially for the drinking water.
23 If it gets much over about 5 percent, maybe
24 10 percent of the specific measurements being

1 invalidated, that's when it starts raising a flag
2 where something is out of control in the lab.

3 What I'm talking about is when the lab is
4 sampling the data, they run the standards at the
5 beginning and run the standards at the end. If the
6 standards at the end don't match the standards at
7 the beginning, plus or minus so many percent, that
8 means that the analysis was out of control. The
9 data is then questionable.

10 We have our standards, and other people
11 have their standards. To them, a certain level of
12 drift was acceptable. We've got the data. It was
13 outside of our standard, so it was marked invalid.

14 MR. SCHAFER: I think this might go to
15 your question, Sir. How many VOCs are compounds
16 during the total sweep?

17 UNIDENTIFIED SPEAKER: 32 approximately.

18 MR. SCHAFER: There's 32 compounds
19 approximately in the VOC for that group. Out of
20 that particular group if memory serves me
21 correctly, there were 11 non-detects, 11 compounds
22 that the laboratory had to reject as non-detects.

23 UNIDENTIFIED SPEAKER: They were
24 basically all non-detects.

1 MR. SCHAFER: The lab had to look at the
2 data and the valid data and say, "For 11 of these,
3 we cannot say that these are valid non-detects, and
4 we have to reject the results." To give you some
5 concept, that's 1/3 of the sweep.

6 UNIDENTIFIED SPEAKER: Various other
7 testings, they were different for the PCBs,
8 pesticides. There were different numbers. For the
9 drinking water samples, it's a much smaller
10 amount. If you're talking about soil samples or
11 surface water where there's dirt in them, you
12 expect more troubles.

13 MR. WARMBIER: Due to the uncertainties
14 of the data set, it leads us to have actually a
15 lack of confidence in the data quality, and that's
16 a further reason to have to go back and re-sample
17 to actually know what's actually there.

18 At this point, we really don't know
19 whether there is a hazard in the water or not. The
20 providing of the alternative water for drinking and
21 cooking is a conservative measure just in case the
22 follow-up sampling does indicate a concern with
23 health-based problems in the water.

24 MS. RAUCH: So you knew for six weeks?

1 MR. WARMBIER: I don't know.

2 MS. RAUCH: I find that very disturbing.

3 I don't know how you could do that.

4 MS. WIEGES: Are these farms?

5 MR. BOUDREAUX: All around them is
6 farmland.

7 UNIDENTIFIED SPEAKER: Two of the
8 properties are bordered on the north side by the
9 base, but the other sides are farmland.

10 UNIDENTIFIED SPEAKER: How many are
11 getting corrected by this? How many are getting
12 bottled water?

13 MR. WARMBIER: All three. To reiterate,
14 further testing needs to be done to actually
15 delineate what is in the water.

16 MR. BOUDREAUX: How quickly are we going
17 to get it done?

18 MR. WARMBIER: We want to get the QA/QC
19 problems corrected. We're working with AFCEE on
20 that. As soon as we can guarantee that we're going
21 to have not a repeat of this -- obviously we don't
22 want that either -- get that worked out,
23 coordinate with both of the regulators and with the
24 individual that wants a private sample.

1 MS. CLIFTON: I think it should be paid
2 for by the Air Force because I truly believe there
3 needs to be a separate segregated source, and maybe
4 we can get the test results on a more timely basis.

5 UNIDENTIFIED SPEAKER: There is a program
6 set up through the AFBCA that will pay for that.
7 It's called TAP.

8 MR. NUSSBAUM: It's available to the
9 Restoration Advisory Board. I would suggest that
10 the residents get on the Restoration Advisory Board
11 and participate with the RAB at the meetings so you
12 can stay on top of it.

13 MS. HOLLIS: Who dictates where their
14 samples go to? Are they going to be going to a lab
15 the Air Force dictates?

16 UNIDENTIFIED SPEAKER: Whoever they get
17 as a consultant, wherever they want to take them.

18 MR. BOUDREAUX: They can take their own
19 sample anywhere they want even if it's paid for by
20 the government. The government has a lab that they
21 will go out and do QA and QC and make sure it's
22 good and send it to where they want to.

23 MR. WARMBIER: The way it's set up, we
24 don't know where let's say the TAP samples go to.

1 We're going to take a sample and send it to our
2 lab. EPA will send it to their lab, and Illinois
3 EPA will take a split and send it to their lab.
4 Just from ours and the two regulators' point of
5 view, it should be potentially three different
6 labs. I guess there could be a possibility that we
7 could use the same lab.

8 MS. CLIFTON: But that wasn't done the
9 first time?

10 MR. WARMBIER: Splits were not taken the
11 first time.

12 MS. HOLLIS: We were not given the
13 opportunity at the time to take splits. We need
14 two weeks' notice. We were notified the day before
15 that this was going to happen. It was a source of
16 contention in our meeting.

17 UNIDENTIFIED SPEAKER: The resident would
18 want a similar amount of lead time I'm sure.

19 MR. WARMBIER: Right.

20 MR. NUSSBAUM: One of the most important
21 things to identify right now is the fact that for
22 the resident that wants the split sample taken,
23 you're making reference to the Technical Assistance
24 Program. They've got to fill out an application.

1 They've got to make the request. There's a lot of
2 paperwork that goes with that. That's got to get
3 done. I don't want to mislead the residents to
4 believe that it's going to happen. You need to get
5 with the Air Force to make sure you fill out the
6 paperwork and get the money to do that.

7 MS. CLIFTON: I guess I'm saying, why is
8 that my responsibility for something I haven't
9 done?

10 MR. NUSSBAUM: I accept that, but I
11 didn't want to mislead you.

12 MS. CLIFTON: I know that, but I also
13 know there's other people around this state that
14 will willingly test that stuff.

15 MR. WARMBIER: I would also like to point
16 out, at this point we do not know where the
17 contaminants that are potentially in your well came
18 from.

19 MS. CLIFTON: I disagree with you because
20 I've had my well tested several times. When we
21 bought the property and another time right before
22 the base was closed, that well was tested, and it
23 tested clean.

24 MR. WARMBIER: Typically, the standard

1 drinking water tests do not tests for dioxins and
2 furans.

3 MS. CLIFTON: I apologize for coming in
4 late to the meeting. But has it been discussed at
5 all as to what other contaminants were found in the
6 environmental area of concern directly adjacent to
7 our property?

8 MS. HOLLIS: A list of contaminants from
9 the landfill?

10 MR. WARMBIER: Not at this meeting, I
11 don't believe it was.

12 MR. BOUDREAUX: They wouldn't be yet
13 available. All that has been done is the surface
14 and some of the samples.

15 MS. CLIFTON: So we should be looking at
16 that too in conjunction with ours?

17 MR. WARMBIER: Actually, the off-base
18 sample was part of the larger delineation of
19 groundwater for the entire base cleanup operation.
20 But like I say, it's not definitive whether there
21 is contaminants in your water, and we do not know
22 if or where they would have come from.

23 MS. CLIFTON: We've got a pretty good
24 idea, don't we? I think we do. Those of us that

1 have lived around here know what happened. Every
2 day, there were gallons and gallons of JP-4 used
3 out there to burn airplanes. Everybody did it.

4 MR. BOUDREAUX: So when have you got them
5 scheduled?

6 UNIDENTIFIED SPEAKER: Not scheduled
7 yet.

8 MR. BOUDREAUX: What does one of these
9 tests cost? I'm talking about a private lab.

10 UNIDENTIFIED SPEAKER: \$5,000.

11 MS. CLIFTON: It will cost that much.

12 MR. WARMBIER: There are only two or
13 three places that do dioxin/furan tests.

14 UNIDENTIFIED SPEAKER: Have you sent a
15 sample to the Department of Public Health?

16 MS. CLIFTON: Without my legal counsel
17 here, I'm not going to tell you what I've done.

18 MR. WARMBIER: The Illinois Department of
19 Public Health also sent a letter to all of the well
20 holders on their evaluation of the data, and their
21 evaluation actually only determined that at that
22 time lead was the only concern they had as far as
23 using the water.

24 MS. PANZER: Why didn't we get a sheet

1 like that on the lead? I got it on the dioxins and
2 furans but no information on the lead.

3 MR. WARMBIER: They were the ones that
4 prepared that. Call them, and I would assume they
5 would have information on lead.

6 MS. PANZER: The dioxins and furans
7 should not be there at all even if they're in the
8 minimal level.

9 MR. WARMBIER: We would not expect them
10 to be there. We thought maybe the Public Health
11 folks would be here. They sent with their letters
12 to the well holders, a handout on dioxins and a
13 handout on furans.

14 I've got the photocopy fax of that from
15 them. I have a few copies up here if you would
16 like to see those. You can also contact the
17 regulators or Public Health for additional
18 information as well as us if you want to talk with
19 us in more detail.

20 MS. RAUCH: I have a related question.
21 This was well samples. At October's meeting, it
22 was talked about that there were samples taken of
23 Heritage Lake; is that right?

24 MR. SUITS: I don't know.

1 MS. RAUCH: It seems to me like that
2 ought to be sampled, too.

3 MR. BOUDREAUX: That's water coming from
4 way down. We dug a well. The city dug a well and
5 is now pumping that water from way down.

6 MR. NUSSBAUM: The city dug a well?

7 MR. BOUDREAUX: A long time ago.

8 MR. NUSSBAUM: The village dug the well
9 or the Air Force?

10 MR. SUITS: That well was drilled by the
11 village.

12 MR. BOUDREAUX: We drilled that well in
13 '91 or '92, and it's way down there.

14 MS. RAUCH: Can we have a list of the
15 contaminants that have been found in OU-2?

16 UNIDENTIFIED SPEAKER: Mrs. Rauch was
17 asking about when are samples from the lake going
18 to be collected? Her recollection was that we had
19 already done that.

20 UNIDENTIFIED SPEAKER: No. You've been
21 to almost all of the meetings. There will be two
22 rounds collected from the lake I would guess
23 looking at the schedule, it would be probably early
24 spring when we would go out there and sample

1 those.

2 We told you we were going to put in a
3 stilling well. That might be what's confusing.
4 That's where we drive a stand pipe in the lake to
5 measure the surface water elevation.

6 MR. SCHAFER: That's just a measurement
7 of the water level to try to see how that reacts
8 with the groundwater.

9 MS. RAUCH: It would seem to me that we
10 would want to be doing that and the Salt Fork
11 Creek, too, and not be waiting until spring. But
12 really, can we get a list of those contaminants?

13 MR. SUITS: The contaminants --

14 MS. RAUCH: That have already been found
15 in the OU-2.

16 MR. SUITS: We will provide you with
17 those.

18 MR. BOUDREAUX: You need to provide some
19 kind of levels, too, so that they understand what
20 the levels are.

21 MR. SUITS: Reuse progress.

22 MR. BOUDREAUX: Just to change things
23 around and talk a little bit about... I'll talk
24 negative stuff first. (Inaudible) Windows is

1 closing. Everybody has seen that in the paper.
2 That is a plastic window manufacturing plant that
3 will be consolidating in Ohio. All of those
4 employees are going to be working at Caradco and
5 have been offered jobs here and will probably be
6 gone very soon. On the good side, we have two
7 different companies very interested in leasing it,
8 and the building is pretty nice now. It's fully
9 sprinkled, and it's got docks. It didn't have any
10 before. The result of having a window
11 manufacturing plant there has made it quite
12 marketable.

13 Greyhound will be here every year for the
14 next five years January through May and do their
15 driver training. Their new offices will be over in
16 the north end of the museum. You should have seen
17 a nice article written by our friend, Tim, in the
18 paper, and it's going to be real good.

19 The steam plant is shutting down after
20 this winter, so everybody has seen a lot about
21 that. We have already started doing the design of
22 not only independent boilers but also design of the
23 facilities to house these boilers because many of
24 these buildings need to have an addition to put on

1 to add a separate boiler. All of that is underway
2 right now.

3 The T-hanger project is coming along
4 nicely. Look into the buildings in the hangars
5 themselves. We're doing that right now.

6 Next year, we mentioned that we were
7 hopefully going to have the 1836 runway
8 reconstructed. Since our last meeting, we have
9 received approval from that and funding from the
10 Federal Government federal, state, local project of
11 1836 including lights and widening and new
12 pavement, and that will be very, very good. That's
13 all I've got unless there are questions.

14 MR. SUITS: Any questions for Ray?

15 Next one is that of community
16 involvement. I might add at this point that the
17 second Wednesday in January, there is a users'
18 group meeting here. So some of the concerns that
19 have been previously manifested here with respect
20 to some of the facilities and conditions, they
21 could also be brought up at that particular
22 meeting.

23 MR. BOUDREAUX: We would be happy to have
24 anybody attend that would like to come. We

1 normally have rolls and coffee in the morning at 9
2 o'clock here in this room.

3 MS. RAUCH: Has there been any new
4 development about White Hall?

5 MR. SUITS: White Hall as I reported last
6 time has been taken back by the Air Force. Both to
7 contract for purchase and the lease that was in
8 effect for a number of years have been canceled.

9 The Air Force has the facility back along
10 with the people center. I reported last time that
11 we were making the people center a more safe area
12 so that children could not come in through the
13 windows. So we have boarded up those holes that
14 were in that particular building.

15 We are currently pursuing a contract to
16 go ahead and to basically clean up the landscaping
17 on the entire facility. As far as development on
18 doing an alternative such as reselling, the Air
19 Force has not yet undertaken that. What the Air
20 Force is doing is working with the Village of
21 Rantoul to see if the Village of Rantoul can find
22 some interest in the facility before we basically
23 make a move on it. That will determine which
24 method of transfer that we would undertake.

1 MR. BOUDREAUX: To add onto that, we have
2 shown it once, but it doesn't show very well.

3 MS. WIEGES: It has all of those code
4 violations that has to be met before anybody could
5 buy it.

6 MR. BOUDREAUX: Not to buy it necessarily
7 but before anybody can occupy it. What you've got
8 is like any building, if somebody wanted to buy it,
9 they could do that.

10 But before they could use it for
11 anything, they would have to bring it up to code
12 and make it safe for people, and currently it is
13 not that way. That's an issue, and that's why the
14 Air Force is cooperating with the city to allow the
15 city some time to find somebody who will do
16 something with it. So that's what we're trying to
17 do.

18 MS. RAUCH: It doesn't seem very
19 feasible.

20 MS. WIEGES: Not at \$20 million.

21 MS. RAUCH: It seems like something that
22 the Air Force should take care of.

23 MR. BOUDREAUX: The Mayor is working with
24 Tom Ewing to get some money. It's against Air

1 Force policy to my understanding to tear down
2 buildings that are being disposed of on a closed
3 military base; however, there are other methods to
4 take. The Mayor is working through Congress to try
5 to get some money to tear the building down should
6 we not find somebody to invest in it and make it
7 into something. The Mayor is very good at that.

8 MR. SUITS: Anything else on the
9 community involvement?

10 The next meeting will be in two months if
11 I remember my calendar right. I believe it is
12 February the 11th at 7:00 p.m. of 1999. Any last
13 things? Otherwise, the meeting is adjourned for
14 the evening. Thank you very much.

15 (Whereupon the RAB Hearing was
16 Concluded at 8:30 p.m.)

17
18
19
20
21
22
23
24

1 STATE OF ILLINOIS)
) SS
 2 COUNTY OF PIATT)
 3
 4

5 CERTIFICATE OF REPORTER

6 I, TARA L. TRAXLER, Certified Shorthand
 Reporter and Notary Public in and for the County of
 7 Piatt, State of Illinois, do hereby certify that I
 reported in shorthand the proceedings had on the
 8 hearing of the aforementioned cause on the 10th day
 of December, A.D. 1998, before Mr. Virlon Suits.

9 I do further certify that the foregoing
 10 56 pages are a true and correct transcript of my
 shorthand notes so taken as aforesaid and contain
 11 all of the proceedings directed by Mr. Suits.

12 I do further certify that I have no
 interest in the outcome of this action.

13 Given under my hand and seal this 19th
 14 day of December, A.D. 1998 at LaPlace, Illinois.

15 AFFIRMATIVE REPORTING COMPANY

16 By:



17
 18 *Tara L. Traxler, CSR*
 19 TARA L. TRAXLER, CSR
 and Notary Public
 20
 21
 22
 23
 24

FINAL PAGE

ADMINISTRATIVE RECORD

FINAL PAGE