



CHANUTE AFB ILLINOIS

ADMINISTRATIVE RECORD COVER SHEET

AR File Number 3365.1

File:
D.H. 254

STATE OF ILLINOIS)
) SS
COUNTY OF CHAMPAIGN)


**BEFORE THE
RESTORATION ADVISORY BOARD**

IN RE: CHANUTE AIR FORCE BASE)

PUBLIC MEETING HELD

May 7, 1998

Aviation and Development Office
One Aviation Drive
Rantoul, Illinois
7:00 p.m.



*Affirmative
Reporting
Company*

1478 Glenn Drive Decatur, IL 62526

(217) 875-1414 (800) 886-DEPO FAX (217) 875-1472

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 TRANSCRIPT OF PROCEEDINGS

2

3 MR. VIRLON SUITS: You should have a copy

4 of this in front of you. I hope we didn't run

5 out. We probably came fairly close to having not

6 enough copies, but hope you do have a copy in front

7 of you.

8 I do welcome you. Just in the matter of

9 introductions here, I always get myself in trouble

10 doing this, so I guess actually, Dean, we'll start

11 with you. Just introduce yourself. Go right down

12 the line. We'll take enough time to do this.

13 MR. DEAN WILLIAMS: My name is Dean

14 Williams. I'm from Jacobs Engineering. I'm just

15 here to observe.

16 MR. MIKE WILLIAMS: My name is Mike

17 Williams. I'm with Jacobs Engineering also. I'm

18 specifically working on the FTA-02 and -932

19 projects at Chanute Air Force Base, and a few

20 others.

21 MR. RAY BOUDREAUX: There is no Chanute

22 Air Force Base.

23 MR. MIKE WILLIAMS: The former Chanute

24 Air Force Base.

3

1 MR. BRYAN RUNDELL: I'm Bryan Rundell. I
2 also work for Jacobs and am Department Manager for
3 the (inaudible).

4 MR. JIM SKRIDOLLS: Jim Skridolls. I'm
5 the Program Manager for Jacobs' work here at the
6 former Chanute Air Force Base.

7 MR. RAY BOUDREAUX: Good, Jim.

8 MS. ANNE WALKER: Anne Walker, Quality
9 Institute (inaudible).

10 MR. DAN BRADY: My name is Dan Brady.
11 I'm the AFCEE Field Engineer here at Chanute, the
12 former Chanute Air Force Base.

13 MS. CHRISTINE OLGUIN: I'm Chris Olguin.
14 I'm the contracting officer with AFCEE for the
15 former Chanute Air Force Base.

16 MS. MARY UREY: I'm Mary Urey. I'm here
17 to observe.

18 MS. SYLVIA CROWEN: Sylvia Crowen, AFCEE
19 Team from San Antonio.

20 MR. RON PORTER: Ron Porter from the
21 Human Systems Center in San Antonio.

22 MR. DREW RAK: Drew Rak. I'm a
23 toxicologist with AFCEE, and I work for Sylvia.

24 MR. JEFF VILMAN: I'm Jeff Vilman with

1 The Environmental Company. I'm the Project Manager
2 for what's called the "Seven Sites Remedial
3 Investigation."

4 MR. CRAIG THOMAS: I'm Craig Thomas. I'm
5 a geologist with USEPA.

6 MR. CARY WARE: Cary Ware with the
7 Illinois Department of Public Health, Champaign
8 (inaudible).

9 MS. LORRAINE WIRGES: Lorraine Wirges,
10 Rantoul Garden Club.

11 MR. VIRGIL KRONE: Virgil Krone,
12 Environmental Engineer, Chanute.

13 MR. GARY SCHAFER: Gary Schafer, USEPA
14 Project Manager.

15 MR. RAY BOUDREAUX: Ray Boudreaux with
16 the City of Rantoul.

17 MR. FRED RAUCH: Fred and Barb Rauch,
18 residents.

19 MS. JACQUELINE FOTHERGILL: Jacqueline
20 Fothergill, resident also.

21 MR. STEVE NUSSBAUM: Steve Nussbaum,
22 Illinois EPA.

23 MR. VIRLON SUITS: Thank you very much.
24 The last time, we had intended to say something to

5

1 this group here about risk assessment and how those
2 procedures were done. We didn't have a person here
3 at that time. So I guess actually between the time
4 we put out the mail or sent out the mail and we
5 printed the agenda, we took that off. We do, in
6 fact, tonight have someone who is able to address
7 that.

8 And I guess at this point I would again
9 call on Sylvia Crowen as Team Chief to go ahead and
10 introduce the person that will be doing that for
11 us. Sylvia...

12 MS. SYLVIA CROWEN: Yes. We brought with
13 us from San Antonio both Drew and Roy... or Ron,
14 I'm sorry, Ron, to present to you risk assessment.
15 And you know basically what it is, what it means.
16 So feel free to ask them any questions. They do
17 have handouts that they will be giving to each of
18 you.

19 MR. RON PORTER: My name is Ron Porter
20 again. I work for the Air Force and Air Force Base
21 and I work for the Surgeon General. Drew and
22 Sylvia work with Civil Engineering. And Drew and I
23 have similar jobs, only Drew's reporting chain goes
24 up the side of the house where risk assessment is

1 used to develop cleanup goals as to evaluate a site
2 and see if there's a risk at that site from
3 exposure. And then the information that's
4 generated in that risk assessment is used by the
5 cleanup team to choose remediation technology and
6 then implement that technology with the funds that
7 are available. My side of the house works more
8 with some of the other agencies like Departments of
9 Health in states and Agency for Toxic Substances
10 and Disease Registry. And these folks are more
11 into the public health assessment activities. And
12 not only do they look at baseline risk assessments
13 and the information that comes in as part of a
14 remediation project, but they also collect
15 information from local health agencies, those
16 people who interview residents who live nearby.
17 They interview activists and other stakeholders in
18 the process. And they try to take a more global
19 look.

20 MR. DREW RAK: Just briefly, what's
21 getting passed around is a glossary of risk
22 assessment terms. So if there's some group of
23 words that... We tend to be very colloquial a lot
24 of times. The other is a full set of slides. We

1 will not be using all the slides that are in that
2 set. But all the ones we do use are in there.

3 And then lastly is a handout that we
4 borrowed from EPA. It's from Superfund Today
5 publication, and it's entitled "Focus on Risk
6 Assessment." And I think it provides an excellent
7 overview of Superfund risk assessments. So those
8 three items are going around.

9 Thank you, Ron.

10 MR. RON PORTER: Sure. And my
11 presentation is designed to be an interactive
12 presentation. It's one that has sort of developed
13 over the last 5 years as we've been invited as
14 representatives of the Surgeon General to go out to
15 bases, and brag bases as well as active bases, and
16 to talk to groups like this, Restoration Advisory
17 Boards that are not quite sure in some instances
18 what their job is. They understand that they're
19 there to represent the community. And most of them
20 have some concerns of their own about where they
21 live, and maybe they have a history, some knowledge
22 about some of the activities that occurred on the
23 base. And they want to know about how the risk
24 from those activities is evaluated.

1 So we have developed this to go out to
2 the community and say "Here's the way the risk
3 assessment process works." We try to do it in
4 terms that lay people can understand, because in
5 the Federal Government we use lots of acronyms and
6 big terms and then on the scientific side we also
7 use a lot of big terms. And we try not to talk
8 down, but to use language that is easily
9 understood.

10 And then lastly, to give you some
11 information from our experience, some information
12 about where you fit into the process, what is it
13 that the Restoration Advisory Board is allowed to
14 do and is maybe directed to do by the establishment
15 of that group.

16 To get some just basic terminology out of
17 the way, what is "Risk"? It's the probability of
18 an adverse outcome. And "adverse" is the key word
19 there. Risk inherently includes some adverse
20 outcome. For environmental risk, generally we're
21 talking about that adverse outcome is an adverse
22 health effect. And that could be applied both to
23 the human side and it also can be applied to the
24 ecological side. Or there are inputs to the bugs

1 and bunnies that will be exposed to the
2 contaminants at a particular site.

3 The National Academy of Science was
4 charged to develop a method to do risk
5 assessments. And back in the '80s they came up
6 with a book, it's called "the Red Book," a little
7 small guy, and its title includes the words process
8 for doing risk assessments in the Federal
9 Government. And that was a long time before EPA
10 got involved with these cleanup sites. EPA took
11 that Red Book and EPA developed their methodology
12 for doing risk assessments. And that's basically
13 the same methodology that you'll see in the
14 products that come out of the cleanup program here
15 at the former Chanute Air Force Base.

16 Here are the things that we know we have
17 to look at. The nature and the amount of hazard.
18 What is the "Hazard"? Is it a chemical? Is it a
19 physical hazard? Could it be radiation, some of
20 those other things? Could it be a safety hazard?
21 And then, what is the amount of that hazard? Is it
22 a very high concentration in certain areas or is it
23 a very low concentration spread out over a large
24 area?

1 Also from EPA we get most of our
2 information about what the expected health effects
3 are. If I find lead at a site, I can go to a
4 document published by EPA and I can look up "Lead,"
5 and I will see a number that EPA has determined as
6 a cutoff number, a screening number. And if the
7 lead concentration is lower than that number, then
8 EPA, in general, will say "Well, that's probably
9 not a hazard." We need to spend our time and our
10 resources on other chemicals that might exceed some
11 screening values.

12 We also look at characteristics of
13 exposed population. Kids, pregnant women, healthy
14 adult males that are in a work place environment,
15 in an industrial environment. Why do we do a risk
16 assessment? These are the reasons that sites are
17 identified for risk assessments. Because we have
18 some historical information about something that
19 took place at that site, either accidentally or on
20 purpose. On that site there was a spill. That was
21 an accident. Or on that site we had some sort of
22 process. The Air Force cleaned equipment there.
23 And from that cleaning of equipment it generated
24 metals or organic contaminants or something like

1 that. And so we know that from history that there
2 was something that happened there and we need to
3 check and see when we stopped that activity and
4 cleared that property, if there is some risk that's
5 left over.

6 The baseline risk assessment looks at the
7 site, and that's what occurs in the remedial
8 investigation in the RI. The baseline risk
9 assessment does the evaluation, and it tells you
10 what the risk is if we don't do anything. We can
11 go out to this yard out here and we can do a
12 baseline risk assessment. There's some prescribed
13 methods that we follow about sampling. There are
14 some prescribed methods that we follow about the
15 analysis of those samples, where we take the
16 samples, how many we take. And then we calculate
17 the risk. We use numbers from EPA. We make some
18 assumptions about exposures, and we calculate the
19 risk. That's the baseline risk.

20 Now we hand that information over to the
21 CE guys on the other side, the Risk Managers, and
22 they determine what to do about it. How do we
23 mitigate this risk? Or is this a risk that needs
24 to be mitigated. If it's 10 feet under this grass,

1 there may be a risk if you crawl 10 feet under the
2 grass. But as long as it's buried and has grass
3 growing on top of it and it's the type of chemical
4 that doesn't move around, then there's very little
5 risk. You could dig it up, you could spend a lot
6 of money digging it up and move it out of the way.
7 But if you're doing that, you're taking money away
8 from maybe another site on your property that might
9 need a quicker response.

10 This is just our general remediation
11 flowchart for the circle process for the cleanup
12 process. You probably maybe even know what those
13 acronyms up there are for. The remedial
14 investigation, feasibility study, and some work
15 that Drew and I have been doing. These are the
16 places where we've identified, that we have
17 identified that are opportunities for risk
18 assessment. This baseline risk assessment that we
19 do in the RI, in the feasibility study we're
20 looking at this level of contaminant here, and the
21 engineer now has to make a decision about is there
22 a method out there first that I can use to clean it
23 up? And if so, do I have the money to do it? If
24 there is a high risk and I don't have the money to

13

1 do it, then as a Risk Manager I've got to go out
2 there and get that money and clean it up.

3 Questions so far? Interrupt me if I'm
4 going too fast. I've got more than I should try to
5 cover in the length of time that I have. But stop
6 me as we go.

7 Here are the steps in the risk assessment
8 process. And it goes all the way back to the early
9 (inaudible) when the National Academy of Science
10 said "This is the way the best scientists in the
11 United States and Canada thinks we should do risk
12 assessment."

13 Data collection and evaluation. And I'll
14 briefly describe each one of those. Exposure
15 assessment and the toxicity assessment. And notice
16 that these two guys, they can occur at the same
17 time. It's not that linear process. We can do
18 exposure assessment and the toxicity evaluation at
19 the same time. At the end of that process I
20 probably have a number. Engineers love numbers:
21 "Give me a number. If it's above it, I'll do
22 this. If it's below that, I'll do that." But I
23 have a number now that I need to put into some
24 context. How comfortable am I with that number? I

1 have to tell the engineer that "Yes, I've got this
2 number. But, you know, I really don't know how
3 much time people spend on this property." I made
4 some assumptions about that, and I may have made
5 assumptions based on some statistical package I saw
6 or some research project that evaluated people's
7 time on the flights.

8 So I tell the Risk Manager, the engineer
9 that's responsible for the cleanup, "I have this
10 number. I'm very comfortable with it because the
11 data I have is solid. The toxicity data is solid.
12 The exposure data is solid. The concentrations, I
13 pretty much know where the contamination is. And
14 that's a good number." So that's good for the
15 engineer.

16 What's bad for the engineer is I'll give
17 him a number and it's really soft. "Here's the
18 number that you wanted, but I'm not too crazy about
19 the numbers that I got for the toxicity." I'm not
20 sure that we're actually looking at the right
21 chemical for toxicity. I know that it's a
22 solvent. But I couldn't find any good data on this
23 solvent, so I substituted something else.
24 Something that's kind of like it that may act like

1 it. But I don't have good data. And that's the
2 information that the Project Manager needs to know
3 to strengthen his decision-making process.

4 To data collection, these are made-up
5 numbers. Please don't assume that those are the
6 former Chanute Air Force Base numbers. I think
7 they were numbers somewhere like in California.
8 And this is the historical record of sampling from
9 a sampling well for truckload ethylene. So you can
10 see back in '89, August/September, we had some
11 pretty high hits. Now we sampled monthly, down
12 here in December, and we've got pretty low numbers.
13 Well, a couple, there can be a couple of reasons
14 for that.

15 Back in July, July through September the
16 methodology that I used to measure TC and
17 groundwater might not have been that great.
18 Because these methods are developing every day, the
19 technology is getting better. So I may have, I may
20 be able to see it more clearly. And that's maybe a
21 hard analogy. I'm more confident in the analysis.
22 It could go the other way, too. The numbers can be
23 higher. The technology can get better and say what
24 we were measuring earlier is actually lower than

1 what we saw.

2 So we look at what did Chanute do? Was
3 Chanute ever a sack base? Did it do training
4 stuff? We can sort of look back through the
5 history and say Chanute did this for the first
6 10 years and then for the next 30 it did this, and
7 it gives us an idea of the activities that occurred
8 at Chanute. And then we can sample for the things
9 that we know are related to those activities. We
10 look at old aerial photographs. The corporate
11 memory is very important. If I go to a new site, I
12 try to find the oldest guy that works at CE, that's
13 been there 45 years, because that guy can tell you
14 "I remember back in the 40's, we did this over
15 here. I remember that we used to have a landfill
16 over here."

17 And we found a lot of stuff that way. We
18 found old wells. We found lots of stuff talking to
19 that guy who has been around a long time. The blue
20 suiters may not be your best source of
21 information. They've got the books; they look
22 through the book. But they don't have that on-site
23 history that a lot of folks will have, the sampling
24 records, the emergency spills. The public source,

17

1 also you go to the newspaper. It says we had a
2 plane crash at this site in 1949. Well, that may
3 have escaped, you know, our collection of
4 information. And we need to go out to that site,
5 do some sampling and say "There's nothing here" or
6 "Maybe there is something here that we need to look
7 at."

8 And so at the (inaudible) of our data
9 collection step, that very first step, I now have
10 identified sites. I've gone over the base with a
11 fine tooth comb. I've talked to everybody I can.
12 And now I have a list of maybe a hundred sites that
13 are potentially impacted. I also have a list of
14 chemicals based on the activities. Whether the
15 spill? Was it a crash? What occurred there? I
16 know which media or what are contaminated. By
17 "media," I mean is it surface water? Is it
18 groundwater? Or is it soil? Because I know that
19 based on what it was the physical and chemical
20 characteristics of the compound. If it's TCE, I
21 know that it goes through soil pretty readily. It
22 goes into groundwater and hangs around for a long
23 time. If it's some other metals, it may not move
24 as much. It's going to be right there in the

1 soil. And maybe my best bet is to come here with a
2 backhoe, scrape up a couple yards of soil, and I'm
3 done with that site.

4 That's all right. I know how high my
5 concentrations are. And very important, I also
6 know what I don't know, or maybe I don't know all
7 of what I don't know, if that makes any sense, but
8 I recognize it was data gaps. I don't have any
9 information on this groundwater out here where I
10 think there was some activity. So I need to get
11 mobilized and get a contract on mine (inaudible)
12 and get somebody out there to sample.

13 Exposure assessment is next. We can go
14 ahead with that. And this is a real busy graph, I
15 know. It tries to capture in one picture. It has
16 the different media that we look at and the
17 different pathways. So I've got this industrial
18 activity out here. I see some air contamination
19 coming out of that stack. It looks like it's
20 fallen on. It has the ground there. And I've got
21 kids playing in a sandbox. So I've got some sort
22 of... Something raining down out of the air.
23 Here's's something that looks like I've got some
24 off-gassing there, and I've also got some

1 groundwater contamination in the stream. And
2 here's Old John out here. He's been fishing in
3 this stream for, it was the last 30 years. He's
4 out there catching that fish.

5 Depending on what that chemical is, not
6 all chemicals will move into fish. Depending on
7 what that chemical is, it could be something that
8 might be in fish tissue and that might be something
9 else we look at. So not only do we look at air and
10 water and soil, but we also look at the other
11 potential pathways. Can I be exposed through
12 gardening? Can I be exposed through catching fish
13 or killing deer? And then after I've looked at the
14 potential ways that a person is exposed, I also
15 look at the types of, the duration of the exposure
16 and the frequency of the exposure.

17 If I'm an industrial worker and I work at
18 a tire plant, there are going to be some industrial
19 solvents there. Benzene is the one we used to use
20 a lot in the tire business. And I'm going to be
21 exposed generally speaking for 8 hours a day for
22 250 days a year. I get 2 weeks off for vacation.
23 So that takes care of those other guys. It's
24 5 days a week. I have a pretty good idea about

1 that exposure. I also have a pretty good idea
2 about the concentration of the exposure because
3 probably that plant has some data about how much we
4 used and what the temperature was and all those
5 things that would affect.

6 Do I drink 2 liters of water a day?
7 That's another. We've got some assumptions we make
8 about how much people eat, how much they drink, how
9 much they breathe. How long do they live in a
10 house? That's an important one. You know, if it's
11 a residential scenario, does a person in Illinois
12 live in a house 30 years? Is that sort of the
13 average? Or is it like some bigger cities where
14 the average is like 3 years or 5 years? In the
15 military it's like 7 years or 9 years. We did some
16 assessments where we went back and went through
17 military housing records because there were
18 pesticides in the soils. Well, how long is a
19 person exposed in this house? The military records
20 showed us with pretty good clarity that the maximum
21 time was 9 years and the average time was a lot
22 less than that. Another busy slide. But these are
23 the things we look at.

24 For a brag base, this is important. Am I

1 going to use this section of grass out here? Am I
2 ever going to build a house on it? I don't know.
3 I can't answer that question. Or is it going to be
4 like this place, is it going to be a commercial
5 endeavor, or is it going to be agricultural? Is it
6 going to be turned into a park? And for each of
7 these future land use activities there's a set of
8 values that you plug into the calculation of the
9 risk.

10 If it's residential, we assume that
11 people are there for 300 and how many, 350 days a
12 year. They also get 2 weeks' vacation. So if I
13 live in this house, the number that EPA puts into
14 that calculation of risk is 350, assuming you get
15 2 weeks off for vacation and you're not going to
16 stay at home and mow the grass, you're going to go
17 somewhere else.

18 Intake rates, you know, all of us drink
19 2 liters of water a day. Our kids ingest
20 200 milligrams of soil a day. Us adults ingest
21 100 milligrams of soil a day incidentally. You
22 know, we work in the garden, we have hand to mouth
23 contact, or putting our pens in our mouth and
24 things like that. Those are the defaults that EPA

1 has out there for us to use. If those defaults...
2 If we don't feel like those are really
3 representative, if you're in a warmer climate.
4 Drew and I come from San Antonio. And 2 liters of
5 day is probably not appropriate. That includes
6 coffee, tea, soft drinks, all that. We drink a lot
7 more down there. It was 95 and like 90 percent
8 humidity when we left.

9 So we've identified our sites, and now
10 we're doing the exposure assessment. And here are
11 the things that we... Here's the things that we
12 have in hand when we finish the exposure
13 assessment. We know something about the
14 populations that live nearby. We have an idea
15 about the physical setting, how much rainfall it
16 gets and temperature and some of those other
17 things. And we also know something about how much
18 an individual is exposed to based on his time
19 on-site and the concentration of the chemical.

20 I'll just spend the shortest time ever on
21 toxicity because this is the one that we don't fool
22 with too much because that's a number that's
23 generated by EPA. And for somebody from the Air
24 Force to say we don't agree with that number, EPA

1 would say "Well, let's put in a fund of
2 \$100 million and let's do the research and change
3 the number if you don't think it's that good." So
4 we don't do a lot with the toxicity stuff. What I
5 will tell you about the toxicity is that the data
6 is divided among those, between those chemicals
7 that are either cancer-causing or noncancer-
8 causing. And the assumptions that are plugged into
9 the risk assessment are a little bit different for
10 each of those.

11 To give you an idea... And most of our
12 information on this toxicity stuff is from animals,
13 right? It only makes sense. We've got some human
14 data on some things where we have known exposures
15 to a discrete compound, not a mixture. We've got
16 some information on that. But for the most part,
17 for most of the chemicals in the data base for
18 toxicity, the information is rats and mice. And so
19 they take an experiment, here's the health effect
20 in the rat. And that health effect may be
21 something only like watery eyes. That may be the
22 effect they measure. And as the dose went up, as
23 we increased the dose of this gas to this rat, his
24 eyes watered more and more, or he was anxious, more

24

1 and more anxious they could tell. So they measured
2 the levels. At what point did that effect start in
3 the rat? And then they watch to see how that
4 effect went up.

5 Now how do you relate that to the human?
6 That's as hard as can be. You have to build in
7 safety factors, times the safety factors.
8 Depending on which animal you use and which
9 exposure you use, it may be a thousand. So I take
10 1 as the number that caused the effect in this
11 rat. It was just 1 milligram of this stuff. Well,
12 then, in order to make it safe for a human, I have
13 to divide it by 1,000. That's the way EPA has
14 chosen to arrive at a number from animal data that
15 they presume to be protective of human. That's
16 important for you to understand, I think. Most of
17 the data is in animal data. And all of that
18 business that I talked about earlier about how
19 certain amount (inaudible), that information is
20 available for us, too. This is a real strong
21 number. We feel like the number for Benzene is a
22 good one or this number is a little softer.

23 Yes, sir.

24 UNIDENTIFIED SPEAKER: I just want to

1 add, you said 1,000. Most numbers are between
2 10,000 and 30,000. So you take a safe dose for a
3 rat, you divide a minimum 10,000, a maximum of
4 30,000.

5 MR. RON PORTER: Because it's a factor of
6 each, I'm going from a rat to a human, and that's
7 10. I expose the rat orally. I expose the rat
8 orally, but I'm looking at some other input that's
9 another factor. They just keep building in these,
10 dividing by these factors of 10 until they arrive
11 at a dose that they think is safe for humans. And
12 then finally, which at that point, as I mentioned
13 earlier, I've come up with all I can do or the
14 person that's doing that risk assessment now has a
15 number for this site for this chemical, for this
16 exposure root, for this future use of this land,
17 and I hand it to the engineer. But I need to add
18 those qualifiers in there that let him know how
19 comfortable I am with the risk assessment. So I
20 give him something.

21 Yes, sir.

22 UNIDENTIFIED SPEAKER: On toxicity, I
23 think it's very important to indicate for a hazard
24 and history for nontoxicity.

1 MR. RON PORTER: That's right.

2 UNIDENTIFIED SPEAKER: I really hate to
3 leave these people with an idea that there's a
4 threshold effect.

5 MR. RON PORTER: I think there is.

6 UNIDENTIFIED SPEAKER: You may think
7 there is, but we're not allowed to do that.

8 MR. RON PORTER: I understand. And I
9 will... Let me put that graph up there. And I
10 didn't mean to slight that in any way. There it
11 is. What's the obvious difference there in that?
12 It goes to zero. The thinking up until this year,
13 the philosophy, or maybe the political stance up
14 until this year has been that a molecule of a
15 cancer-causing substance can cause cancer. That's
16 the EPA philosophy. So no matter where this curve
17 started in this experiment as I showed in the
18 other, they draw that line through zero. So
19 they're saying that if you go out into the sun and
20 you're susceptible to skin cancer and you get one
21 UV radiation, whatever that packet of energy is, it
22 can knock off a molecule and affect your DNA and
23 you can get cancer from that.

24 We now know though based on some research

1 that for some chemicals there's a threshold.
2 Probably for TCE there's a threshold because,
3 because it doesn't affect the DNA. It controls
4 something. In fact, it affects something else that
5 controls the DNA, the repair mechanism or
6 something. If I was misleading, I didn't mean to
7 be on that.

8 UNIDENTIFIED SPEAKER: Well, it's just
9 important to educate the people on the two ways we
10 do this. One is a non-cancer health effect and one
11 is (inaudible).

12 MR. RON PORTER: And the bottom line of
13 this... He's exactly right. The bottom line of
14 this is these are not things that we really
15 debate. We take what the State of Illinois says is
16 their cancer slope factor or noncancer comparison
17 value or what EPA says. That's just what we do.
18 And that's what we're allowed to do by our risk
19 assessment philosophy.

20 Now the Risk Manager is the guy that's
21 got the tough job. I will not... The Risk
22 Assessor, our jobs are easy. The Risk Assessor's
23 job is easy compared to the Risk Manager. Because
24 now he has to take this number or series of numbers

1 and has to make a decision about "Where do I
2 allocate my money? How do I rank these sites? How
3 do I address maybe some contamination that we don't
4 have the technology to really clean it up
5 effective? I can pump groundwater and treat it,
6 but I don't get a lot for my dollar in a lot of
7 places. Once I get down to low levels of
8 contamination there, I don't get much in my
9 opinion."

10 Go ahead, Drew. I won't say a lot about
11 this except that for the cancer, and this gentleman
12 brought up this cancer stuff, this is one of these
13 things that we have trouble reconciling. And these
14 are background levels of cancer. And I've been to
15 communities all over that say "I know four people
16 on my street that had cancer. My mother died of
17 cancer." And those things are all true. Those are
18 not falsehoods. The fact is that 1 in 4 deaths
19 results from a cancer, all causes. I heard a
20 statistic on cancer from environmental exposure.
21 It was... Do you remember, Drew, what it was?

22 MR. DREW RAK: (Nodding negatively.)

23 MR. RON PORTER: No? It was low. It was
24 low. No exposure, no risk. That's what I think

1 the end of that one was supposed to be.

2 Okay. Here is my summary. Risk
3 assessment is an evaluation of potential human
4 health and environmental impact from chemical
5 exposure. Or other things. It could be
6 radiation. It could be from chemicals that are in
7 medicine. It helps determine which of the risks on
8 sites need to be reduced or eliminated. And then
9 it forms the foundation for the Risk Manager to
10 make some decisions about which sites to do first,
11 what types of remediation strategies to use for
12 each one.

13 Is that the last one?

14 MR. DREW RAK: Yes, it was.

15 MR. RON PORTER: That was the last one.

16 Oh, no, it's not. What did I do?

17 MR. DREW RAK: Oh, I'm sorry.

18 MR. RON PORTER: Those are the things
19 that RAB members... These are not an exclusive
20 list. These are the things RAB members have
21 participated at other raps. They give us
22 historical perspective. They remember things new
23 people on-site don't remember. They also have that
24 memory about potential exposures or know something

1 about landfills or some other sites that could
2 provide an exposure. They help evaluate,
3 especially on brag sites, what the future land uses
4 can be. What are each of these parcels and
5 buildings going to be used for? And that will
6 directly affect maybe the money allocated, the risk
7 assessment that's done on that site. Which sites
8 are most important for you to get cleaned up
9 first? Is it sort of that cost benefit thing? I
10 can spend some money here and get some good value
11 out of this site or I can work on this site for a
12 long time and not have it available for use. Maybe
13 that's your goal though. Maybe that site bothers
14 you so much that you would feel better living near
15 it if it was cleaned up.

16 And finally, the other thing is to share
17 knowledge with the community. As RAB members you
18 represent a larger constituency out there that
19 knows what goes on in these meetings and what is
20 going to happen in the future out here at the
21 former Chanute. I wasn't going to do that one,
22 Drew, but you forced me.

23 MR. DREW RAK: I'm sorry. It looks like
24 you took it out.

1 MR. RON PORTER: Risk assessment is not a
2 lot of things. As I used to be a hard scientist
3 and now I'm a soft scientist, which means I used to
4 do stuff that was pretty cut and dry. When I did
5 my experiment, I got some numbers. I got something
6 I could really put my hands around. And in the
7 risk assessment business sometimes you can't really
8 get a firm grasp on things and you have to build
9 the end on these uncertainties that in your
10 professional judgment will be protective of human
11 health and environment.

12 That's all I'm going to say about that
13 one. Thank you for your time.

14 MR. VIRLON SUITS: Any quick questions?

15 MR. RON PORTER: Sorry I took so long.

16 MR. VIRLON SUITS: No. It was
17 informative. One of our goals of our advisory
18 meeting is to go into more of an educational type
19 of process, to educate the RAB membership as far as
20 what we're up against and what we're doing. We'll
21 try to get one of these at probably each and every
22 meeting. And next time we'll have another one
23 here. So...

24 MR. DREW RAK: If there's a specific part

1 of that 4-part risk process that maybe you would
2 want us to come back in some more detail, we can do
3 that as well. This is kind of the overview. Ron
4 presented 4 boxes. And if there's one that kind of
5 grabs people's attention, we can come back.

6 MR. RON PORTER: Drew and I are
7 consultants to the Air Force, and our telephone
8 numbers are on that sign-up sheet. If there's
9 questions you're not comfortable in asking in a
10 public forum, or if there's someone you might know
11 who might not ask a question in this forum, we'll
12 be glad to respond to those questions. If you're
13 not comfortable with an Air Force person answering
14 them, we can certainly connect you with our
15 colleagues that work at EPA or in the states that
16 would give you information I think that would help
17 you understand the process.

18 UNIDENTIFIED SPEAKER: (Inaudible
19 question.)

20 MR. RON PORTER: That discussion is in
21 the handout, and I pulled it out. But you're
22 right. The important thing... And I had that as a
23 bullet at the bottom, and I sort of went over that
24 quickly. It says "No exposure, no risk." In order

1 for there to be any risk from that chemical, it has
2 to be available in the body at the tissue at which
3 it affects. That sounds kind of complex. But the
4 chemical, you have to be exposed to that chemical
5 and that chemical has to be in the form in your
6 body that causes the effect that for which it's
7 famous, whatever that is.

8 So if you're not exposed to groundwater
9 and there's something in the groundwater, there
10 will be no effect. Or if you're not exposed to
11 this soil out here and there's something in the
12 soil, or you think there's something in the soil,
13 there won't be an effect. That has to be
14 complete. That pathway has to be complete. And
15 I'm not sure where you wanted me to go with that.

16 UNIDENTIFIED SPEAKER: It's kind of like
17 a fire triangle where you've got dots and fuel.
18 The same thing applies to risk assessment. If you
19 have a source, the containment, you have to have a
20 pathway or a way for it to get to you. And then
21 there has to be a receptor, you. You take away any
22 one of those three, there's no risk. Because in
23 order to have risk, you have to have all three.

24 MR. RON PORTER: And to finish that, an

1 exposure doesn't always result in the health
2 effect. You know, it's not always "If I'm exposed,
3 something is going to happen." Our livers
4 especially have evolved over the years to protect
5 us very well against all sorts of compounds.

6 Well, thank you very much for your time.

7 MR. VIRLON SUITS: The second item on the
8 agenda is that of remedial action sites. I'm not
9 going to dwell on that. We've covered this
10 before. Most of the sites, once again, be reminded
11 they're in the operable Unit 2. And specifically
12 those items that we've been working on most
13 recently are the landfills. Along those lines I
14 have put on your agenda there because those are
15 restricted areas. You will notice we have put up
16 some signage. We are going to expand on that
17 because of what we have certainly gathered in the
18 way of data with respect to the landfills and then
19 also with respect to the Fire Training Area and
20 several of the other sites. We're not as much into
21 the 7 sites yet at this point. But of those sites
22 we are going to treat those with more, I guess the
23 terminology would be "urgency." And from that
24 standpoint we will be installing a fence for the

1 primary purpose of what I just said. We now have
2 enough information to where certainly the fencing
3 is appropriate and needs to be installed.

4 The sideline issue of that is that the
5 weekend people that are here are getting very
6 frustrated certainly with people driving through
7 there and everything. So this will stop that flow
8 of traffic. But we did want to bring that up to
9 the community, that that will be happening here in
10 the next month or two in the way of fencing in
11 installation.

12 If there's any questions on that?

13 MR. RAY BOUDREAUX: Virlon, I think you
14 and I should talk at some other time on that
15 subject, if we can.

16 MR. VIRLON SUITS: Yes, we will. We have
17 not talked on that yet. We have not established
18 the exact lines or what.

19 MR. RAY BOUDREAUX: Yes, we need to talk
20 about that. And if there's a hazard, of course we
21 don't object to it being sealed off, but there may
22 be some other ways we can do that besides a fence.

23 MR. VIRLON SUITS: With that as Agenda
24 Item No. 4, which is Landfills Progress and Status,

1 I know what we had talked about in terms of length,
2 Bryan. I don't know how innovative you are, but
3 try to hit the real important parts. This is Bryan
4 Rundell. He did speak with you last time.

5 MR. BRYAN RUNDELL: I'll go quick. I
6 spoke with you last time. What I'd like to do is
7 just give you an update on what we've done. We've
8 collected some information. I think the last time
9 I spoke about it I showed you some nice pretty
10 pictures showing we did a geophysics survey, kind
11 of looked underneath the ground and told us where
12 the... And I'm focusing on the landfills. It told
13 us basically where the waste in the landfills was
14 deposited since we didn't have good enough
15 historical records to say exactly where the waste
16 was. I'm going to go over that. Field
17 investigations that (inaudible). I will show you
18 some of the data we've collected showing there is
19 some contaminants we've detected in soils and in
20 water in the landfills that are above published
21 values that IEPA and EPA publishes.

22 And that kind of leads into what Virlon
23 was saying, which kind of puts us into a situation
24 where we probably need to take some action to

37

1 restrict access to these landfills. I'll try to go
2 quick here. I'm just going to go right on into
3 it.

4 The last time I spoke that we were going
5 to do a CPT investigation. And what that was is it
6 was a way to... Very similar to drilling wells
7 ...it's a way to punch an instrument which measures
8 the resistance as you push it down, and it tells
9 the difference between the sand and the clay. And
10 I think the most important thing we probably
11 determine from that investigation using the CPT,
12 and that's what this color map shows, it led us to
13 a conclusion that we really didn't know at the
14 time, and that is if there's a pretty thick sand
15 unit underneath the area where the landfills are at
16 OU-2.

17 If you look in here, these areas that are
18 pink on the diagram, they show the sand unit is
19 about 8 feet thick. And that's in your upper
20 shallow unit, your Wisconsin till. And that's a
21 pretty thick sand unit for that till, which means
22 it makes a substantial amount of water. And when
23 you do a risk assessment I was talking about
24 earlier, you have to assume a future scenario for

1 groundwater. That's one of the things you do. You
2 imagine somebody builds a house here or a company
3 puts a building there, would they use this
4 groundwater for drinking water or for industrial
5 use?

6 Originally we thought that there wasn't
7 thick sand units in this upper portion. And it's
8 not the part of the geology in this area they
9 normally use for groundwater. But based on this
10 investigation you can see there's a pretty
11 good-sized sand unit underneath the landfills. So
12 it's likely this water in the future could be used
13 as a groundwater source. So that will make us put
14 wells in that and monitor it. And it's just
15 something to know that I think originally in the
16 other meetings you were told. And maybe there
17 wasn't that much sand in the unit. And there is
18 quite a bit. That is kind of the result of CPT.
19 We found other things, too. There's a lot of clay
20 out there. These areas that are white, we found no
21 sand. But that's some conclusion of the
22 investigation we did I think is important to
23 present as knowledge. And I'll move on. I talked
24 about...

1 MR. RAY BOUDREAUX: Give us a little idea
2 how far down. 5 feet? 6 feet?

3 MR. BRYAN RUNDELL: It's about 15 to 20
4 feet down from the ground surface.

5 MR. RAY BOUDREAUX: 15 feet?

6 MR. BRYAN RUNDELL: Yes. I think an
7 important thing about that is Illinois EPA has
8 regulations where they designate where an aquifer
9 is a Class 1 or a Class 2. The Class 1 means that
10 that aquifer could be used as drinking water, that
11 it has enough yield that would sustain a well in
12 that unit. And it's likely that based on the
13 thickness of that sand unit or its depth that it
14 would probably be Class 1 in this investigation.

15 MR. RAY BOUDREAUX: At 20 feet?

16 MR. BRYAN RUNDELL: But it makes the risk
17 assessment adhere to more stricter standards is
18 basically what that means. And I talked about the
19 weed. We did the geophysics. It shows Landfill 1
20 and 2. And I'll show you pictures of the
21 landfills, they're basically random pits, we didn't
22 see. It looks like they... Whereas Landfills 3
23 and 4 I'll show you the diagrams. You see very
24 linear trenches. They had long basically cuts that

1 they made into the ground surface. They put the
2 waste in there. A very systematic manner. And
3 they were probably older.

4 And then the next one was filled, the
5 next one was filled. And that is good information
6 for us because it will give us an idea where to
7 investigate. It also gives us an idea of how the
8 landfills were used historically. And stop me.
9 I'm going to go pretty quick because I agreed to
10 save time here on some information. This is just a
11 subset of the data that we have available for the
12 landfills. But when I spoke, what we did is we
13 collected these samples. This is Landfill 1. And
14 you see kind of the pink areas? That's where we
15 determined there was waste material when we did the
16 geophysics investigation.

17 And then what we did at each location, we
18 took a surface sample, a subsurface sample, we took
19 a backhoe, dug into the ground, took a subsurface
20 sample. Then if any water flowed into the trench,
21 we sampled that material, too. And what we then
22 did is we took those results and EPA, USEPA and
23 IEPA they published values where they precalculated
24 whether a certain contaminant at a certain level

1 would probably pose a risk. It's called
2 "screening." It's not (inaudible), but it's a
3 good idea to give you an idea if there's
4 contaminants in that area that could pose risk to
5 the human health or environment.

6 This shows one of the screening levels is
7 TCLP, which is a record screening (inaudible).
8 This shows on Landfill 1 here, you can see that we
9 did exceed, this red area, you can't see very well,
10 that that exceeded for lead. So at that location
11 in surface soil we collected a sample that shows
12 that it exceeded the TCLP risk level for lead.

13 MR. RAY BOUDREAUX: I bet there was skeet
14 in there.

15 MR. BRYAN RUNDELL: Well, what's
16 interesting... It's possible. But this is one of
17 the furthest samples from the skeet range. So
18 we're not sure where it came from, but it certainly
19 exceeds the regulatory levels. It is a long ways
20 from the skeet range. We are talking today, we
21 have other theories about possibly where this came
22 from. But it doesn't really matter where it came
23 from. It exceeds TCLP levels. And I'll go through
24 a few more of the landfills.

1 This is Landfill 2. Again, I'm focusing
2 here first on metals that exceeded risk levels.
3 We've got a sample down here which is in red right
4 there. And this is in subsurface soil. And that
5 also exceeded TCLP level for lead.

6 UNIDENTIFIED SPEAKER: What is TCLP?

7 MR. BRYAN RUNDELL: TCLP is what we use
8 to determine whether it's hazardous waste or
9 nonhazardous waste. It's called Toxicity
10 Characteristic (inaudible).

11 UNIDENTIFIED SPEAKER: It basically is a
12 calculation to show (inaudible). This is very
13 similar to the test that we did for the lead in the
14 playground. The leachability of the contaminants
15 to get into the soil and get into the groundwater.

16 MR. RAY BOUDREAUX: The groundwater.

17 MR. BRYAN RUNDELL: Now this is a
18 different contaminant. This is dioxins. Dioxins,
19 there's different theories about how they form.
20 And certainly they keep their form by incomplete
21 combustion. Basically when you burn something, you
22 can't destroy all of the material, the ash that is
23 left. We know they probably did burning at these
24 landfills. They threw the waste in the pits and

1 burned some of the material. And we did, we took
2 the samples that we took in surface soil for
3 dioxins, we screened them against the IEPA level.
4 I think... I don't think it's IEPA. I think it's
5 EPA.

6 UNIDENTIFIED SPEAKER: Yes.

7 MR. BRYAN RUNDELL: You can see on this
8 one, all of these here that are in blue, yeah, in
9 blue, those are above residential screening levels
10 for dioxins. And that means that USEPA has
11 determined, kind of based on what they spoke about
12 earlier on the risk assessment, that a person who's
13 exposed to these, using the standard residential
14 scenario, assuming you lived on these landfills and
15 were out there basically 350 days a year, that this
16 is unacceptable risk. And that's what that shows.
17 In surface soils you do have some contaminants out
18 there right now that are probably unacceptable if a
19 person was going to build a house on those in terms
20 of the health effects from those.

21 MR. RAY BOUDREAUX: And we know we can't
22 build a house on that landfill because it's in
23 runway visibility range, so you'd never ever have
24 that happen as long as there was an airport here.

1 MR. BRYAN RUNDELL: Right. But I think
2 you do a real conservative comparison to get an
3 idea what was out there.

4 MR. RAY BOUDREAUX: I agree.

5 MR. BRYAN RUNDELL: That would lead us to
6 (inaudible). We don't want people walking on the
7 landfills. We show here right now in the surface
8 soil you could potentially be exposed to these
9 contaminants.

10 UNIDENTIFIED SPEAKER: There's been no
11 decision yet on what the remedy will be. We're far
12 from that right now. We're trying to get there.

13 MR. RAY BOUDREAUX: We will have an
14 opportunity to talk about what the land is going to
15 be used for and those kind of things at some time
16 when we start doing that remedy determination.
17 Right?

18 UNIDENTIFIED SPEAKER: Actually on all
19 brag sites, in this case the authority would be
20 City of Rantoul. I'm sure several years ago to the
21 Secretary of the Air Force for approval outlining
22 their general concept for what portions of the
23 base, if any, you want for residential, what you
24 want for industrial, agricultural, so on and so

1 forth. That document, once that's approved by the
2 Secretary of the Air Force, that is the guidance
3 that the brag cleanup team uses in terms of looking
4 at the various risk scenarios. Those are the reuse
5 criteria.

6 MR. RAY BOUDREAUX: This is all
7 industrial.

8 UNIDENTIFIED SPEAKER: We're looking...
9 The reason we're looking at residential is because
10 if, in fact, it was safe for residential...

11 MR. RAY BOUDREAUX: It would be safe for
12 everybody.

13 UNIDENTIFIED SPEAKER: Then the Air Force
14 to transfer to the City, you could do whatever the
15 heck you wanted to it. If it's above residential,
16 they need to put a (inaudible) before they transfer
17 saying "No, you can't use if for residential," to
18 deal with their liability, and that also addresses
19 the City's liability.

20 UNIDENTIFIED SPEAKER: I would also point
21 out in point of fact there's more than industrial
22 activities going on. There are agricultural
23 activities now that USEPA is going to assume are
24 going to go on. There are also recreational

1 activities going on around here.

2 MR. RAY BOUDREAUX: That's right.

3 MR. BRYAN RUNDELL: Kind of flowing with
4 that, this Landfill 4, this is dioxins. Landfill
5 4, this also is above industrial. In this case
6 above residential levels and plus then it was
7 higher than that in above industrial. So I think
8 this is the only one that had dioxins and furans
9 that we detected when we did the sampling that is
10 above commercial industrial levels. I think this
11 is the highest level that we found in dioxins and
12 furans. It's not really important concentration.
13 Basically once it's above the screening level, you
14 know, you would in the, our report preparation, you
15 do a full risk assessment. You consider this
16 information.

17 But at this point we're trying to present
18 the data just to show that there is stuff out there
19 above published values that IEPA developed.

20 MR. RAY BOUDREAUX: What do those come
21 from?

22 MR. BRYAN RUNDELL: This one, dioxins,
23 like I said. There's some theories about how it's
24 formed. It's probably incomplete combustion.

1 Probably burning.

2 UNIDENTIFIED SPEAKER: Plastics, like the
3 plastic that have the ordinary compounds of the
4 chlorine in them, you know, chlorinated solvents,
5 things of that. You burn them, and generally
6 you're going to get a dioxin.

7 UNIDENTIFIED SPEAKER: What about the
8 furans? Same thing?

9 UNIDENTIFIED SPEAKER: It's having the
10 chlorine there and doing the burning activities at
11 lower temperatures. If you do it in an incinerator
12 at 2,000 degrees, you don't have that formulation
13 that you have when you are just doing it out in the
14 open, open burning.

15 UNIDENTIFIED SPEAKER: You say this is
16 Landfill 4?

17 MR. BRYAN RUNDELL: Yes.

18 UNIDENTIFIED SPEAKER: Where would that
19 be?

20 MR. RAY BOUDREAUX: All the way on the
21 southeast corner. Way, way out on the southeast
22 corner, the intersection of...

23 UNIDENTIFIED SPEAKER: (inaudible).

24 MR. RAY BOUDREAUX: See that black spot

1 on the top center? That's J. B. Hunt's old
2 building.

3 UNIDENTIFIED SPEAKER: So this is...

4 MR. RAY BOUDREAUX: The Gordon, all that
5 wide space. If you look there on the west where it
6 says "A" and "B," that's where the Art Gordon plats
7 were.

8 MR. BRYAN RUNDELL: Landfill 4 is over
9 here. It's over here. It says "A13." It's kind
10 of in the corner of the base. I'll throw a few
11 more of these up here.

12 MR. RAY BOUDREAUX: Is that stuff all
13 going to the library now, so I can check it off?

14 MR. BRYAN RUNDELL: This information?
15 Not yet. But I'm sure it will.

16 MR. VIRLON SUITS: What was the
17 question?

18 MR. RAY BOUDREAUX: Is it going to the
19 library?

20 UNIDENTIFIED SPEAKER: It's not in a
21 published final document.

22 UNIDENTIFIED SPEAKER: It's also not in
23 the form that the regulators have reviewed. You're
24 seeing it almost right after we're seeing it.

1 UNIDENTIFIED SPEAKER: I saw it before
2 Gary. This is the first time I saw it, today.
3 So...

4 MR. BRYAN RUNDELL: This is... I wanted
5 to show this one. Another contaminant that we
6 detected in surface soils, it's actually a group of
7 contaminant pH's. It stands for (inaudible). If
8 you have diesel fuel, diesel fuel is a component,
9 or it's a liquid that has a huge amount of
10 compounds in it. And some of them are very heavy
11 chain, what they call them, meaning that they tend
12 not to migrate. Basically they have a lot of
13 hydrogen and carbon. It's really not that
14 important.

15 But these contaminants are typically left
16 behind. They don't dissolve in the water very
17 easily. They also are formed, too, we think, too,
18 during burning possibly. And we commonly found
19 these type of contaminants on the landfills under
20 surface soil. Landfill 2 is a good example. You
21 see all the red on here? These are all above our
22 screening levels. There are a lot of different
23 types of pH's. Some of those are known
24 carcinogens. I'm not sure if there's any Type A.

1 It's certainly not all these are carcinogens. Some
2 on the list are. We did depict on most.
3 Polyaromatic hydrocarbons. I have another slide.
4 Landfill 4 of the same at pH's.

5 What I'd like to do is get to the
6 recommendations, and then if we have people who
7 have questions. I think our recommendations
8 are... Again, this is preliminary data. It was
9 just collected. It has the EPA. IEPA has not
10 reviewed it. Our intent here was just to give you
11 an idea what we've done to this point. Since we
12 talked to you last time we've moved quite a bit
13 further along, collected some data. (inaudible).

14 The report has been completed. It was a
15 presentation for the Air Force that we did, and
16 that's what this data came from. And based on this
17 information, we still have a lot more work to do.
18 When we talk about groundwater, we've got to
19 characterize groundwater. We only did 8 test pits
20 at each landfill. We did that quickly to collect
21 data. There has to be more sampling done in the
22 creek and lake. More sampling at the landfills to
23 define basically the nature and extent of this that
24 we detected.

51

1 So certainly one of the things we
2 recommended after we did this initial sampling
3 effort is that we need to continue on with this
4 program to define the contamination at the site to
5 properly assess what is the risk of human health?
6 What is the risk to the environment from the site?
7 And I've got a list on here of the other activities
8 that we will be continuing to do for the next...
9 through the summer and certainly through the fall.
10 We've got to install groundwater wells and sample
11 those. We've got to sample and characterize the
12 creek and the lake at the site.

13 UNIDENTIFIED SPEAKER: What is OU-2?

14 MR. BRYAN RUNDELL: OU-2 is that whole
15 area again. OU-2 refers to this whole area right
16 here inside there. It includes all 4 landfills.
17 It includes all of the sites that Jeff mentioned,
18 the 7 sites. And then it includes... Is there an
19 8th site in there? Anyway, it includes all the
20 sites that we're currently investigating. And then
21 also we still have more trenching activities. We
22 found basically where the landfills' limits are.
23 We had to go in there and verify those are the
24 limits of the landfill.

1 We determined what the thickness of the
2 waste is, what the lateral extent of the waste is.
3 And then we also need to put some wells. Actually
4 in the landfill we found leachate in samples. We
5 found leachate in the samples that we dug. Water
6 flowed into the pits. We sampled that. Some
7 samples did exceed risk levels. The next step is
8 to put wells in the landfill, figure out where the
9 leachate is at, how much is there, is it flowing
10 into groundwater, basically to determine what risk
11 these landfills are to people who potentially could
12 be exposed to this contamination we identified.

13 And that's really, I think, all I've got
14 to give to you.

15 MR. VIRLON SUITS: Any questions of
16 Bryan? (No response.)

17 Excellent briefing, Bryan. I apologize a
18 little bit to the group because the slides will
19 appear to be technical, you know, particularly from
20 the standpoint of terminology. I know you've been
21 doing that. So interrupt us at any time, you know,
22 when the technical buzzwords are in there that you
23 don't understand.

24 MR. RAY BOUDREAUX: Can we get a

1 definition of "surface soil"? Is that at the
2 surface or surface plus 12 inches or surface
3 plus...

4 MR. BRYAN RUNDELL: Our definition... It
5 varies usually sometimes by project. But generally
6 the definition is...

7 MR. VIRLON SUITS: Surface down to
8 6 inches. 0 to 6 inches. That is what we used on
9 this project. So soil from the actual area we walk
10 on down to a depth of 6 inches.

11 MR. RAY BOUDREAUX: Good. That's all I
12 need.

13 MR. BRYAN RUNDELL: And then to
14 clarify... That's a good question. Sub as far as
15 soil is really basically anything below there that
16 when we were digging these pits with the backhoe
17 that we thought we should sample. If we saw an
18 odor there... Or smelled an odor, saw a stain or
19 saw nothing, we still took a sample, because it
20 doesn't always mean (inaudible). The leachate
21 samples. The pits typically were about 15 feet
22 deep when you go down and the landfills, a
23 backhoe. Our objective is to try to get at least
24 down to where we encounter water.

1 Are there other questions?

2 UNIDENTIFIED SPEAKER: Did you just have
3 a total that...

4 MR. BRYAN RUNDELL: We did speciates, and
5 I presented. I got kind of an education on dioxins
6 at this site. Most of these were speciated. That
7 means something to you.

8 UNIDENTIFIED SPEAKER: That's fine. I
9 was just wondering.

10 UNIDENTIFIED SPEAKER: What he's saying
11 is there are a lot of dioxin compounds. Okay? And
12 when they say speciated, it means (inaudible). And
13 what USEPA has done is said, "Okay, in order to do
14 a risk assessment when you have all these dioxins,
15 you put them into what you... into one term,
16 'dioxin.' And then you calculate what's called
17 the 'Toxicity Equivalency Factor' or 'Equivalence
18 Factor,' TEF, and it ranges from 1 to .001 times
19 for each one you multiply this factor, fudge factor
20 ultimately.'" And against the toxicity that, most
21 toxics. The most conservative toxicity value we
22 have for dioxin, and then you use that and add
23 those up to come up with toxicity equivalency
24 factors.

---55

1 MR. RAY BOUDREAUX: That would be an
2 interesting question. How close or how far did we
3 enter into the danger level with the calculations
4 that we got? In other words, if we're using the
5 most conservative number and you have a continuum
6 that says "This is nontoxic and this is toxic,"
7 someplace in between there's going to be a place
8 where you break from toxic to non someplace. Or is
9 there?

10 UNIDENTIFIED SPEAKER: I know it's
11 probably... We're going to be doing... We're
12 going to be doing what the regulations and the
13 guidance tells us to.

14 MR. RAY BOUDREAUX: Go through zero.

15 UNIDENTIFIED SPEAKER: And we're not
16 attempting to be overly conservative, but we're
17 also wanting to protect the most sensitive
18 individual.

19 MR. RAY BOUDREAUX: Absolutely.

20 UNIDENTIFIED SPEAKER: And like you said
21 before, there's going to be a range that that
22 number represents plus or minus.

23 MR. RAY BOUDREAUX: Yes.

24 UNIDENTIFIED SPEAKER: It's a number, but

1 it can go up or down and... But probably more down
2 than up. And we won't know what that is until the
3 end. Right, Ray?

4 MR. RAY BOUDREAUX: Yes. Yes. And
5 essentially the goal of all of this is to determine
6 what type of a cap to put on the top of these
7 things or whether or not they have to be removed or
8 whether or not they have to be...

9 UNIDENTIFIED SPEAKER: We're required to
10 put on a remedy that meets the 9 criteria on the
11 list.

12 MR. RAY BOUDREAUX: To spy the risk that
13 is determined when you're finished; right?

14 UNIDENTIFIED SPEAKER: Right.

15 MR. RAY BOUDREAUX: Okay. Good.

16 MR. VIRLON SUITS: Okay. Thank you,
17 Bryan. Timewise we've blown it this evening. I
18 hope that you can bear with us a little longer this
19 evening. I promise not to do this to you every
20 time. But with this we're not quite halfway
21 through the agenda. And, Mike, you're on.

22 MR. MIKE WILLIAMS: How much time do we
23 have?

24 MR. RAY BOUDREAUX: 40 seconds, plus or

1 minus 10.

2 MR. MIKE WILLIAMS: I have 3 hours of
3 presentation material.

4 MR. VIRLON SUITS: I see that. I'm sure
5 you haven't got (inaudible). Put a slide on for
6 each one, and we'll discuss it. And perhaps it
7 will generate the questions.

8 MR. MIKE WILLIAMS: Okay. I'm Mike
9 Williams, again, with Jacobs. And I have been
10 working on the Fire Training Area 2 site primarily
11 and also on the Building 932 site. To a lesser
12 extent I will briefly mention what's going on at
13 the 747 and 700 sites.

14 The Fire Training Area 2, is everybody
15 familiar with kind of those sites? I guess maybe
16 we should... I'll show this to you. Fire Training
17 Area 2 is located right here. And this is all in
18 the OU-2, Operable Unit 2 area that Bryan was
19 talking about. Building 932 site is located here.
20 Fire Training Area 2 was used for fire training
21 practice purposes. They had a number of mock-up
22 units where they placed planes, or I'm not sure if
23 they were fake planes or actually real planes.

24 MR. RAY BOUDREAUX: Fake.

1 MR. MIKE WILLIAMS: And they practiced
2 lighting and extinguishing them. So you can
3 imagine, there was plenty of materials they used
4 for ignition. And some of those materials
5 eventually made it into the ground. And we
6 suspected that going into the investigation.
7 Building 932 was used for training purposes, for
8 refueling planes. It's basically a big concrete
9 apron that had some pumps and underground storage
10 tanks. Some of the residual or the leftover
11 material ended up in a sludge pit kind of located
12 about right here. And there was also a bladder
13 tank area.

14 So there's kind of three primary areas
15 that we looked into at that site. Okay. So
16 status, I guess I'm going to try to be extraneous
17 here a little bit. As far as free product, that
18 project was initiated a little bit to help the
19 EECA, the Engineering Evaluation Cost Analysis
20 portion of the Fire Training Area 2 site to address
21 the product or the petroleum hydrocarbons that are
22 actually existing in the soil that was suspected
23 may be floating on top of the water, the
24 groundwater.

1 And so at present what we've done there
2 is we've kind of combined the two investigations to
3 a certain extent. We expedited it a little bit and
4 went in with some investigative tools. Bryan kind
5 of touched on one of them. Basically some tools to
6 punch through the ground and measure different
7 properties of the subsurface. One of the other
8 tools that he didn't talk about that we did at that
9 site that helped us quite a bit in characterizing
10 it is a tool called "ultraviolet floor resins"
11 which basically as you're punching down emits a
12 little laser, and the petroleum that's in the soil
13 causes the laser to fluoresce. And then they used
14 that as kind of a relative indication of where the
15 petroleum is at. Boom! Here it is. Boom! It's
16 gone again. And so...

17 MR. RAY BOUDREAUX: Have we started
18 pumping that stuff off there yet?

19 MR. MIKE WILLIAMS: No, we haven't.

20 MR. RAY BOUDREAUX: It would be a perfect
21 time though. The water table is very high.

22 MR. MIKE WILLIAMS: It is very high.
23 That's a problem as far as characterization
24 actually.

1 MR. RAY BOUDREAUX: Sure, because it's
2 all probably floating up on the ground by now.
3 That's not very safe.

4 MR. MIKE WILLIAMS: We are in the process
5 of getting ready to pump out the drainage ditches
6 that exist there, pump them down to a level that we
7 can actually go back in there and do some
8 additional characterization.

9 Let me show you some pictures here.
10 Pictures are always better than words. Well, let
11 me back up for a minute. We did characterize Fire
12 Training Area 2 using some geophysical methods
13 which allowed us to come up with a determination of
14 some areas that we suspected would be good to
15 investigate. And this is an interpretation of that
16 where we came up with some what we call "anomalous"
17 or different than the background-type areas.

18 MR. RAY BOUDREAUX: Is that north to
19 south top to bottom?

20 MR. MIKE WILLIAMS: Yes. This is north.

21 MR. RAY BOUDREAUX: Thank you.

22 MR. MIKE WILLIAMS: And that's the Fire
23 Training Area. These are the drainage ditches that
24 are full of water. They're concrete-lined ditches

1 approximately 12 feet. And we're not sure how much
2 sediment is in them right now. We suspect anywhere
3 from 4 to 5 feet, maybe as much as 6, 7 feet of
4 sediment. Results of the geophysical study that we
5 did came up with some areas where we suspect there
6 may be some existing drainage lines. And we went
7 back to the as-built civil engineering type
8 drawings. And those line up pretty well with the
9 drawings. So these are in addition to the former
10 mock-up areas. These are also good, potentially
11 good areas to find some of the petroleum.

12 We also noted a couple of, again,
13 anomalous areas. One of them up here in particular
14 was an area where there used to be a lagoon. That
15 lagoon was removed. I'm not sure what year. Do
16 you remember what year? Well, it's out of there
17 now. But we do have a little bit of deeper
18 contamination in this area as opposed to other
19 areas.

20 MR. RAY BOUDREAUX: Anything below the
21 12-foot depth of the concrete barriers that divide
22 that off?

23 MR. MIKE WILLIAMS: We...

24 MR. RAY BOUDREAUX: Hopefully not?

1 MR. MIKE WILLIAMS: Let me answer it this
2 way. We did detect some contamination outside of
3 the drainage ditches.

4 MR. RAY BOUDREAUX: Oh, you did? Too
5 bad.

6 MR. MIKE WILLIAMS: Inside here, we
7 didn't want to punch too deep because we also don't
8 want to send contamination down deeper than it
9 actually is. At the same time we want to fully
10 investigate it and make sure we detect everything.
11 So it's kind of a balancing act. And so in a few
12 locations in site here we did go as deep as
13 12 feet. However, right in the heart of some of
14 the most contaminated areas we only went down to 7,
15 8 feet, maybe 9 at the most. We didn't want to...

16 We had done some CPT, some of those bores
17 that Bryan talked about, on the outskirts of that
18 area where we didn't suspect any contamination to a
19 deeper depth to kind of characterize what was
20 there. As Bryan pointed out, we detected a pretty
21 significant sand unit. It was our feeling we
22 definitely didn't want to go down and penetrate
23 into that sand. So like I said, there was a little
24 bit of a balancing act kind of characterizing and

1 protecting the environment.

2 I'll just show you one of these. I can't
3 help myself. These are some of the borings inside
4 of that area. This also kind of shows you where
5 the former mock-up areas were at. There were at
6 least five mock-up areas. We're showing seven.
7 I'm not totally convinced that these three... With
8 respect to one mock-up area (inaudible). But we
9 set up...

10 MR. RAY BOUDREAUX: There were three.

11 MR. MIKE WILLIAMS: Pardon?

12 MR. RAY BOUDREAUX: There were three. I
13 remember seeing them. There was a Jeep on this
14 little one and a helicopter.

15 MR. MIKE WILLIAMS: Oh, you do? Okay.

16 UNIDENTIFIED SPEAKER: Yes, there were
17 three.

18 UNIDENTIFIED SPEAKER: You remember
19 pulling pipes out a...

20 MR. MIKE WILLIAMS: Some of the diagrams
21 showed five. I didn't know.

22 UNIDENTIFIED SPEAKER: Those were newer
23 ones.

24 MR. RAY BOUDREAUX: One was a Jeep or

1 truck and one was a helicopter.

2 MR. MIKE WILLIAMS: Okay. So we punched
3 some of these borings through the soil. And we
4 used that to not only characterize the subsurface
5 soil, the underlying geology, but also like I was
6 talking about, we used the ultraviolet fluorescent
7 laser to come up with zones. And that's what this
8 is right here. Basically as it's being punched
9 down, it spikes when it sees petroleum-related
10 product. And it comes back down basically when it
11 (inaudible).

12 So you can kind of follow this. You can
13 see with depth where we suspect some of the
14 petroleum is trapped in the soil. This is kind of
15 a cross section. You can see, this is plan view
16 obviously, and this is a cut right through the
17 soil. So... This yellowish color is
18 representative of the gravel that's on the
19 surface. So that's why it has kind of a different
20 color. It was interpreted by the CPT as sand, but
21 it's actually more of a gravel. And then this CL
22 material is clay primarily. At that particular
23 site you don't pick up the sand until about
24 17 1/2 feet.

1 MR. RAY BOUDREAUX: From that... While
2 you're trying to find your slide... From that, it
3 looks like about 8 or 9 feet, all the stuff was
4 above that. So...

5 MR. MIKE WILLIAMS: So we also have
6 several of these where we just basically took our
7 data and we sliced it and we kind of come up with
8 areas that are... that show higher levels of
9 contamination than the other areas. And a lot of
10 these areas correspond pretty well to where the
11 mock-up units were at, as you might expect.

12 Another thing we hadn't done previously,
13 we had really no idea, was groundwater flow
14 direction in there. We installed some temporary
15 little wells. And we measured those to determine,
16 you know, which way is the groundwater flowing?
17 We'd like to know for risk purposes who might be at
18 risk? So one thing we found is that those concrete
19 line drainage ditches are actually causing the
20 water inside there to mound higher than the area
21 outside here by at least a foot or two. So we
22 recognize that. And these are separated, these
23 three wells lie outside of the concrete drainage
24 ditch, and we show flow direction to the southeast

1 basically. Salt Fork Creek is over here, by the
2 way. Groundwater flow up here is more straight
3 south to southwest. So there's a little bit of a
4 difference there. This is kind of just a one shot
5 picture. And it's a lot better if you go back and
6 substantiate water levels or groundwater flow, you
7 know, a few times at different seasons. Sometimes
8 when it's...

9 MR. RAY BOUDREAUX: What depth there?

10 MR. MIKE WILLIAMS: Pardon?

11 MR. RAY BOUDREAUX: What depth there?

12 MR. MIKE WILLIAMS: When I took these, I
13 believe inside of here we're talking about a foot
14 or less below the ground surface. And outside of
15 here, anywhere from 2 to 5 feet.

16 I'll try to speed this up just a little
17 bit.

18 MR. RAY BOUDREAUX: Gary, tell him what
19 he needs to tell us. You've seen all this. Do you
20 know what he needs to tell?

21 MR. GARY SCHAFER: Actually I've seen
22 portions of this today. I don't know if I've seen
23 every slide he has.

24 UNIDENTIFIED SPEAKER: Gary, don't push

1 it.

2 MR. GARY SCHAFER: I'm not asking.

3 UNIDENTIFIED SPEAKER: Thank you. Thank
4 you.

5 MR. MIKE WILLIAMS: I'll throw up some
6 analytical results.

7 In addition to doing some of the other
8 things we described, we took soil samples obviously
9 trying to discover if there is a risk at this
10 site. And what we found was we detected some
11 VOC's, volatile organic carbons. Those are the
12 lighter-type hydrocarbons. Like Bryan mentioned,
13 Benzene, that's one of them that we typically look
14 at.

15 We detected TCE. That's a solvent. I
16 think that was mentioned earlier in the
17 presentation. We also detected the PAH's again,
18 polycyclic or polypneumatic hydrocarbons. Several
19 of those. And we, like Bryan and the landfill
20 investigation, use a couple different screening
21 criteria. We've used IEPA's screening criteria,
22 USEPA's screening criteria. And we also did some
23 preliminary back calculations based on risk numbers
24 to come up with what are called "remedial

1 objectives." Those are termed "preliminary"
2 because we don't have the full understanding of all
3 the, you know, all the exposure preliminary stuff
4 that we discussed earlier. And then also we had,
5 especially in the surface soil, several dioxins and
6 furan detections.

7 Subsurface soil pretty much mirrored the
8 surface soil, not quite as heavy on dioxin and
9 furans. But many of the same were detected.

10 Okay. What I'll do now is just quickly
11 talk about 932, Building 932, tell you what we
12 found at 932.

13 MR. RAY BOUDREAUX: I was going to say, a
14 summary slide would be real good about now.

15 MR. MIKE WILLIAMS: This is a challenge
16 to summarize.

17 MR. VIRLON SUITS: I'm sorry about this.

18 MR. MIKE WILLIAMS: This is Building
19 932. I just wanted to show you some of the areas
20 that I was talking about. These are the bermed
21 areas that form bladder tank areas. This is the
22 concrete apron. That's still a concrete apron.

23 MR. RAY BOUDREAUX: It's a bus parking
24 lot.

69

1 UNIDENTIFIED SPEAKER: Future bus parking
2 lot.

3 UNIDENTIFIED SPEAKER: I was going to
4 say.

5 MR. MIKE WILLIAMS: And this is basically
6 the former Building 932. So at that site we had a
7 number of underground storage tanks that held jet
8 fuel for training purposes. And then over here
9 there was a sludge pit identified. I'm not going
10 to go through it, but we did some of the same
11 things at Building 932 at the FTA-02 site. We
12 didn't do the ultraviolet fluorescent, but we took
13 soil samples in the same manner. At this
14 particular site we came up with detections, as you
15 might expect. DVOC's and PAH's.

16 At the Building 932 site it was kind of
17 interesting. We detected actually more PAH's or
18 more different types of PAH's than we did at the
19 Fire Training No. 2 site. And a number of those
20 were above the screening levels that I talked about
21 for the Fire Training Area 2 site. Okay. Let's
22 see. All right. Skipping through hundreds of
23 hours of work...

24 MR. VIRLON SUITS: This is what's so

1 unfair to these guys. You can tell what he was
2 saying a while ago when he said "I'm sorry, Jim."
3 I know exactly what he's saying. He has got all
4 this stuff, and it's pretty. I mean it's good
5 stuff. It's pretty and it's colorful and
6 everything, and they're aching to just show all of
7 this.

8 MR. RAY BOUDREAUX: What we should do is
9 one of these at a time. I can tell you right now,
10 you go much over an hour in any meeting, you lose
11 them.

12 MR. MIKE WILLIAMS: You do. You do. I
13 agree.

14 So we're into the conclusion section.

15 UNIDENTIFIED SPEAKER: Would it be the
16 preference of the group then to save this?

17 MR. RAY BOUDREAUX: Let's get the
18 conclusions. I think that's important.

19 MR. MIKE WILLIAMS: Okay, I'll go through
20 them as quickly as possible here. We detected a
21 number of geophysical anomalies. We think we have
22 a good handle on what a lot of those are. There
23 are a few of them that we're going to need to
24 continue and investigate. We have a good handle on

1 where the jet fuel petroleum-type contamination
2 exists in the soil at the Fire Training Area based
3 on the analytical sampling and based on the
4 ultraviolet fluorescence technique that we used.
5 Okay.

6 We have a better handle on groundwater
7 flow. Although I would say that another, at least
8 another round is needed to substantiate what I
9 showed. And then primary contaminants detected at
10 both sites, some volatile organics, some of the
11 PAH's that we talked about, and dioxins and
12 furans.

13 So based on this, some type of removal
14 and/or remediation is going to be needed at both
15 sites. Not, you know, to abide by not only
16 regulations that are in place, but also to address
17 human health and ecological risks. And for
18 purposes of transferring the property to the
19 Village of Rantoul.

20 That's basically it. We have
21 recommendations on additional sampling. That will
22 be done. Basically we're just going to fill in
23 some of the data gaps. We went through a little
24 bit of an expedited sampling effort. And there are

1 areas where we feel like we need to go back in and
2 just clarify a few things.

3 MR. RAY BOUDREAUX: Did you do any
4 borings through the concrete in the bus parking lot
5 there?

6 MR. MIKE WILLIAMS: Pardon?

7 MR. RAY BOUDREAUX: Did you bore through
8 the concrete at all?

9 MR. MIKE WILLIAMS: Yes, we did.

10 MR. RAY BOUDREAUX: Did you replace that
11 back in there or put something to...

12 MR. MIKE WILLIAMS: Asphalt patch, I
13 believe.

14 MR. RAY BOUDREAUX: Just so that there's
15 something to repair the concrete.

16 MR. VIRLON SUITS: 747. Any questions of
17 him at this point? (No response.)

18 Okay, you've got the 747.

19 MR. MIKE WILLIAMS: I do apologize for
20 taking up so much time.

21 MR. VIRLON SUITS: 747 is not
22 inoperable.

23 MR. RAY BOUDREAUX: They know where that
24 is.

1 MR. VIRLON SUITS: Does everybody?

2 Okay.

3 UNIDENTIFIED SPEAKER: I don't. Oh.

4 MR. RAY BOUDREAUX: You couldn't even fit
5 the landing gear in there.

6 MR. MIKE WILLIAMS: Okay. Basically
7 what's going on at 747 is that we are in an
8 investigative-type process to find out there's been
9 some TCE detected. TCE is a solvent. It's
10 probably one of the most common solvents used in
11 the industry.

12 MR. RAY BOUDREAUX: PD680 in the Air
13 Force.

14 MR. MIKE WILLIAMS: Is that what it is?

15 And so in this process right now we've
16 prepared a draft work plan. We've also... And
17 that was given to the Air Force. The Air Force had
18 some comments. And we just recently submitted a,
19 what we're calling a "Draft Final Work Plan" to the
20 agencies. That was actually sent out on May 5th.
21 That's wrong.

22 Really that's pretty much it. I mean in
23 that work plan we have, you know, we've identified
24 where we need to take some groundwater samples,

1 where we need to take some soil samples and what
2 parameters we need to analyze for basically to
3 determine again if there's a risk at this site,
4 then what needs to be done.

5 UNIDENTIFIED SPEAKER: The building and
6 how much area around the building, are you
7 considering that?

8 MR. RAY BOUDREAUX: It's not a very good
9 site.

10 UNIDENTIFIED SPEAKER: What happened to
11 this site was it was an underground water tank
12 closure. When they sampled the monitoring wells
13 around the underground storage tank, they detected
14 chlorinated solvents. We had some problems or
15 questions about the data from the old contractor.
16 So Jacobs came in, tested it again. They were
17 there again. So it's not a fallacy. So what we're
18 trying to do is they found... We found something
19 in groundwater that exceeds state groundwater
20 standards. So we're kind of working backward to
21 find out where it came from.

22 UNIDENTIFIED SPEAKER: Again, I guess I
23 would add the fact that that's a chlorinated
24 solvent, is a bit of a spray. We wouldn't have

1 expected to see the chlorinated solvents associated
2 with the underground storage tank that had been
3 pulled. Therefore, there must have been a tank
4 other than the tank for these chlorinated
5 solvents. And that's what we're trying to find
6 right now. There must have been a source
7 detector.

8 UNIDENTIFIED SPEAKER: I think that's
9 what they've done, (inaudible).

10 MR. MIKE WILLIAMS: Do you want me to
11 talk about 700?

12 MR. VIRLON SUITS: Go ahead. It's the
13 old base filling station. Does that help? Okay.

14 MR. MIKE WILLIAMS: Okay. Building 700,
15 as you know, there's been remediation system pump
16 and treat-type system that's been in place. It's
17 currently been shut down since, as you can see,
18 since January 27th. We submitted a preliminary
19 Tier 2 evaluation. And what that is is using
20 Illinois EPA's system, you can either go... You
21 can either look at their numbers, their Tier 1
22 numbers which are basically screening numbers and
23 compare that to the analytical values that you're
24 getting and say "We're above" or "We're below" and

1 then make decisions. You can go a step further and
2 do what's called a Tier 2 evaluation, kind of like
3 risk assessment, where you take site specific
4 numbers to come up with maybe a better idea of
5 what's going on there and maybe a better number.
6 And that kind of in a rough nutshell, I guess, is
7 what that report is that was submitted on
8 April 14th.

9 MR. RAY BOUDREAUX: What did it say? Say
10 it's good, clean, or needs more or what?

11 MR. MIKE WILLIAMS: It says that, well, I
12 don't know if I want to say that it's clean. I
13 guess it depends on a number of factors that...
14 Well, there are a few other things that have to be
15 addressed, I guess. We have to determine... Well,
16 we have to do some additional sampling to determine
17 a few other things before we can actually say
18 that. That's kind of why we're calling it a
19 preliminary Tier 2 evaluation.

20 MR. RAY BOUDREAUX: That's why I asked
21 the question.

22 MR. MIKE WILLIAMS: Maybe I'll ask for
23 your help on this.

24 UNIDENTIFIED SPEAKER: Basically what

1 we've submitted is a plan to make the Tier 2
2 determination. And the Tier 2 determination would,
3 in effect, be, is the calculated value that comes
4 up with the Tier 2, have we shown that the
5 remediation system has drawn the contaminant values
6 to something below that? And that remains to be
7 seen, whether we have succeeded or not.

8 MR. VIRLON SUITS: We don't have a slide
9 on 952. The 952 attenuation report has been with
10 the State. What will be happening there is the
11 State will be issuing a letter to us, the FPCA. I
12 need to get that letter recorded like we would get
13 a deed recorded. And I've checked with the County
14 Recorder's Office, and they will be receiving, they
15 will be receiving that from me and recording it at
16 the time that I bring it to them.

17 Yes, Gary.

18 MR. GARY SCHAFER: It might be useful if
19 you explain what it is you're having the Recorder
20 record on the deed. I'm assuming it's a use
21 restriction of some sort.

22 Steve, is that correct?

23 MR. STEPHEN NUSSBAUM: Yes. For the
24 Leaking Underground Storage Tank Program, the State

1 has adopted regulations. And the regulations we're
2 using is, and I can explain this at a later time,
3 it's Tier Approach to Cleanup Corrective Action
4 Objectives. TACCAO. And when they come in under
5 that program, they can make assumptions... This is
6 kind of using that risk assessment we talked about,
7 they can make assumptions about what exposures are
8 going to happen. And under the regulations it
9 allows them to assume that no residential exposure
10 is going to happen. But they would have to put on
11 deed restrictions, institutional controls, things
12 like that onto the deed to make sure that nobody
13 would be exposed, and then we would be less
14 conservative with the numbers that we looked at for
15 risk. Okay? So, but the letter will come out
16 without saying you're clean if you do this and you
17 have 45 days to file with the County Recorder's
18 Office. So we've kind of been sitting on this
19 until Virlon found out, yes, I can get that done in
20 45 days, so we don't have to go through and do it
21 again.

22 MR. RAY BOUDREAUX: In that particular
23 site you're saying that no residential... The last
24 lady that was here that gave the presentation out

1 there said that it was... met all the objectives
2 of the Natural Attenuation Program and all the
3 buggies had eaten the right things.

4 MR. STEPHEN NUSSBAUM: What she wanted to
5 prove was natural attenuation was working. What
6 she ended up proving was we can close this site out
7 under TACCAO.

8 MR. RAY BOUDREAUX: Okay. I see. Yes.
9 There's not ever going to be anything.

10 MR. STEPHEN NUSSBAUM: Instead of running
11 off and making this a science experiment, the Air
12 Force said, "We'll just slide out," which is a good
13 thing.

14 MR. RAY BOUDREAUX: Fine. As long as the
15 EPA agrees that's fine. Yes.

16 MR. STEPHEN NUSSBAUM: But the property
17 will have a deed restriction on it.

18 MR. RAY BOUDREAUX: It says "No
19 redemption."

20 MR. STEPHEN NUSSBAUM: And no use of
21 groundwater. The issue is no use of groundwater
22 because the groundwater has levels above.

23 MR. RAY BOUDREAUX: And "groundwater"
24 meaning water within 20 feet or 30 feet of the

1 surface.

2 MR. STEPHEN NUSSBAUM: Groundwater is
3 below the site, groundwater. No wells can be put
4 in.

5 MR. RAY BOUDREAUX: Well, you're not
6 allowed to drill a well in the city of Rantoul
7 without permission anyway. So that works for me.
8 And that is within the city limits.

9 MR. STEPHEN NUSSBAUM: That's pretty much
10 what we talked about.

11 MR. VIRLON SUITS: Okay. Finally, we
12 have gotten to the OU-2 update. And Jeff, will you
13 give us a fast rundown on that.

14 MR. JEFF VILMAN: All I need to say,
15 since the last meeting we've continued working on
16 our planning documents. The work plans are into
17 the agencies for review. We're starting to respond
18 to comments. And we hope to be in the field
19 collecting data by late summer/early fall if all
20 goes well. I'm done.

21 (APPLAUSE!!!)

22 MR. VIRLON SUITS: Okay. Any questions
23 of Jeff? (No response.)

24 Item No. 8, Update on Lead Fragments

81

1 found in Parcel G. I don't have that much of an
2 update for you. I have addressed this with the EPA
3 as far as us doing some additional investigative
4 work to see if we can more precisely or more
5 adequately determine what the source of this may
6 have been. I guess our feeling is that we could
7 limit ourselves as far as the... If it ends up
8 being a hot spot removal, for example, we could
9 limit ourselves possibly by finding out more of
10 what the actual material is.

11 If the actual material is solder, for
12 example, we also find out that the particular
13 solder that was used at that time would be
14 consistent with that, that it would help us more
15 adequately determine, you know, particularly areas
16 to go down and to locate them and remove them.
17 We're also going to go into the library here, into
18 the museum and look for photographs, aerial
19 photographs of the time of the construction, as
20 many as we can find, as many as your wife can help
21 us find, Ray.

22 MR. RAY BOUDREAUX: Yes, she will be
23 happy to do that.

24 MR. VIRLON SUITS: And we'll go through

1 them in detail.

2 We do have with us, we're privileged to
3 have with us this evening Cary Ware. We had wanted
4 him at the last meeting, and I think you were
5 unable to make it at that point or you were out of
6 town. I can't recall just what it was. But I
7 think at that time I had met with a number of you
8 and with Cathy and her husband, and we had said to
9 you at that point, you know, there's certain
10 services certainly available to, you know, to the
11 people with children, if there is concern with the
12 children. So Mr. Ware is here to address any
13 questions. Cathy did call me. I had specifically
14 invited her. But then she was unable to make it.
15 I don't know if she called in. So I don't know if
16 she would have expressed any questions she may have
17 had to any of you. But at that point, I thank you
18 for coming. And if you have questions of Mr. Ware,
19 why go ahead and ask him at this time.

20 (No response.)

21 I'll go on then to the issuance of
22 deeds. We have not issued any of the deeds to the
23 public bodies, such as the Village of Rantoul. We
24 also lack three deeds to be issued to the private

1 developers. One of these that's in the process,
2 one thing I want to say at this point, with what we
3 have discovered in the Operable Unit 2 and actually
4 some of the concerns, maybe greater concerns, I
5 would say, as far as what happens to groundwater
6 here is that with that USEPA has taken a position
7 that they wish to see more information and more
8 data and more conclusions as far as which way
9 groundwater is flowing before issuing additional
10 (inaudible). We have faxed into their office, and
11 Gary graciously sent back to me and said, "We need
12 additional information."

13 I don't know at this point, Gary, if you
14 want to expound on that some more. But at any
15 rate, that's where we stand.

16 MR. GARY SCHAFER: I don't know how
17 tolerant everybody is for time. I can be very
18 southern. As Virlon said, our concern is
19 groundwater. As you know, it's USEPA's
20 responsibility to concur with the transfer of
21 property from the Air Force to the private sector.
22 We can't make that concurrence unless we know it's
23 clean. And what's happened is the gentleman that
24 spoke before, first of all, Mr. O'Dell talked about

1 the sand layer. When we went into this and we
2 started transferring property. We had some old
3 information from previous studies we were relying
4 very heavily on that seemed to indicate there was
5 not a pervasive sand layer. And there's sufficient
6 aquifer that can convey large amounts of
7 groundwater... "Large" is a relative term
8 ...relatively large distances.

9 Some of the work that Jacobs has done
10 recently in discovering a sand layer has sort of
11 given us better information. And it looks like
12 there is a greater capability for groundwater to
13 become contaminated and to move out of OU-2 than we
14 had originally thought.

15 The second part of that, the concern is
16 when Mr. Williams was talking and he put up a
17 little chart about groundwater flow direction
18 that's the second part of our concern. Up until
19 now we were always assuming that groundwater in
20 this aquifer was being controlled by the creek. In
21 other words, the creek was the discharge point.
22 And what we're finding, what Jacobs is finding
23 that's not always necessarily so. So combined with
24 some of the data we're finding with the

1 contamination, we don't feel comfortable enough
2 where we can say to you these parcels are not
3 contaminated by groundwater. So we feel that we
4 have to get more information. The direction it's
5 going, it seems like there is a greater possibility
6 of contamination could go out of OU-2 perhaps into
7 OU-1. We don't know right now.

8 MR. RAY BOUDREAUX: And OU-1 is
9 essentially the City property separates OU-2 from
10 any property that's owned by the private sector by
11 a long distance. But that doesn't necessarily mean
12 that it couldn't transverse that public property.

13 UNIDENTIFIED SPEAKER: We're talking
14 about the aquifer then is...

15 MR. RAY BOUDREAUX: 20 feet.

16 UNIDENTIFIED SPEAKER: Right. It's above
17 what we use in the city.

18 MR. RAY BOUDREAUX: Oh, we use way, way
19 down for drinking water.

20 UNIDENTIFIED SPEAKER: The same.

21 MR. RAY BOUDREAUX: But there's also
22 problems... And they can tell you better about it
23 ...whenever you punch through and go all the way
24 down, then you have chances for things to flow down

1 and flow up and do all kinds of weird things. So
2 that's why there's reasons you have to close wells
3 when wells have been dug. And they have to be done
4 properly. And there was a whole bunch of them out
5 here.

6 MR. VIRLON SUITS: So that's where we're
7 at.

8 MR. GARY SCHAFER: Is there any questions
9 about that that I can help with?

10 UNIDENTIFIED SPEAKER: You said private
11 developers now. Which parcels are those that
12 you're talking about?

13 MR. VIRLON SUITS: The church and the
14 library.

15 MR. RAY BOUDREAUX: And B3.

16 MR. VIRLON SUITS: And B3.

17 UNIDENTIFIED SPEAKER: What's that?

18 MR. VIRLON SUITS: White Elephant.

19 MR. RAY BOUDREAUX: And they're all owned
20 or purchased by the same guy.

21 UNIDENTIFIED SPEAKER: I notice you call
22 it B3 instead of White Hall.

23 UNIDENTIFIED SPEAKER: White Elephant.

24 MR. VIRLON SUITS: Not really. I've

1 still got that so (inaudible) in me. It's hard for
2 me to get out of that mode.

3 MR. RAY BOUDREAUX: Isn't it convenient?

4 MR. VIRLON SUITS: I'm falling into the
5 trap, too, going into the technical jargon.

6 MR. RAY BOUDREAUX: Isn't it convenient
7 that the three parcels owned by one person has not
8 been....

9 UNIDENTIFIED SPEAKER: Convenient for
10 him.

11 MR. RAY BOUDREAUX: And now all of a
12 reason... And now all of a sudden we find a reason
13 that he is not...

14 MR. VIRLON SUITS: Is into the reuse.
15 What's the latest?

16 MR. RAY BOUDREAUX: I'm not going to say
17 anything. It's getting too late. But I do have a
18 question.

19 UNIDENTIFIED SPEAKER: This is the
20 highlight of the meeting.

21 MR. RAY BOUDREAUX: Okay. We're talking
22 to a guy about aviation reuse.

23 UNIDENTIFIED SPEAKER: Aviation reuse.

24 MR. RAY BOUDREAUX: Yes. Talking about

1 building a 55,000 square foot addition to one of
2 our factories. We're talking about... I'm not
3 going to tell you who because it's all very, very
4 hush-hush-hush. You get the latest and greatest.
5 This is not for public release. This is all very
6 quiet. We're also talking to a gentleman about
7 building a 150,000 square foot warehouse. So we
8 are just about ready to do the T hangar project.
9 We're getting very close getting that on the
10 street, to start construction over there.

11 The balloon thing went off very, very
12 well tonight. We announced a lot of new sponsors.
13 We're working... I can't tell you who.

14 UNIDENTIFIED SPEAKER: Different
15 participation from what I hear.

16 UNIDENTIFIED SPEAKER: Curt was talking
17 150 balloonists already.

18 MR. RAY BOUDREAUX: No more than that.
19 All the competition division is full. 100
20 balloonists, and 100 balloonists are there. We're
21 installing things out back for the sewer for all
22 the... You know, the Health Department requires if
23 you're going to be in a trailer for a long period
24 of time and you are washing dishes and stuff like

1 that, you have to have a sewer. So we're
2 installing a sewer out back for all of our... But
3 we're doing it neat. We're doing it with
4 volunteers. But it's interesting. And everything
5 is going along very well.

6 But I do have a question. On the RF for
7 OU-2, you said they wouldn't start until summer or
8 fall. I would prefer we get started as soon as we
9 can on that. Especially since we have
10 (inaudible)... And that RAFS included the sample
11 and all that stuff to the farmland and all the rest
12 of that stuff out there; is that right?
13 Everything. That excludes the seven sites and the
14 four landfills and the fire training pits. But
15 everything else; is that right?

16 MR. VIRLON SUITS: Well, actually these
17 will be combined into one final document, Ray.
18 They are two.

19 MR. RAY BOUDREAUX: That's what I kind of
20 thought.

21 MR. VIRLON SUITS: Well, we are treating
22 them separately because actually they're separate
23 contractors.

24 MR. RAY BOUDREAUX: I would hope that we

1 would go to Mock 6 on this.

2 MR. STEPHEN NUSSBAUM: Here, this is
3 something that I think you really need to put on
4 the table, Virlon, with respect to we're trying to
5 get this stuff finalized, but one of the critical
6 problems, and I don't know that everybody is aware
7 of this, and maybe I shouldn't say, is the funding
8 issue. Chanute has been hanging out there for a
9 long time. There are a lot of other bases that
10 have gotten there RI's done and gotten projects
11 awarded, done remedials. They're way out of here.
12 They're shutting the doors. They're gone.
13 Chanute, because of the problems that we've had,
14 the base realignment and closure money is running
15 out. And there's a pot of money that's been set up
16 for Chanute. The problem is, we've got to get it
17 obligated at the end of this year.

18 MR. RAY BOUDREAUX: That's why I'm
19 saying, I think we're...

20 MR. STEPHEN NUSSBAUM: So what we're
21 trying to do is... I'll be honest. What my job is
22 for the citizens of Illinois...

23 MR. RAY BOUDREAUX: Is to get the money.

24 MR. STEPHEN NUSSBAUM: ...is to work with

1 the Air Force and USEPA before it goes away, it's
2 not available for that for 6 years.

3 MR. RAY BOUDREAUX: That's right. You've
4 got it.

5 MR. STEPHEN NUSSBAUM: So what's going to
6 happen, some things have been delayed. The start
7 of the RI has been delayed trying to secure the
8 money. We spent an extra, what, 3 hours today...

9 MR. VIRLON SUITS: That's right.

10 MR. STEPHEN NUSSBAUM: ...trying to get
11 the folks at headquarters and other folks together
12 to try and get this money preserved for Chanute and
13 get it used.

14 MR. RAY BOUDREAUX: Is it time for us to
15 jump in? We do not interfere as the City of
16 Rantoul. And I do have a statement to make. I
17 think it's very important that everybody understand
18 that we understand your jobs, the jobs that you
19 have to do, and we'll cooperate fully with you to
20 get those jobs done. And we encourage you to do
21 them and to the very, very best of your ability.
22 And we appreciate what all the gentlemen do.

23 And sorry that we don't spend hours and
24 hours going over your pretty pictures. But, you

1 know, there are ways that we can get meetings done
2 very, very quickly and see all that data if we were
3 very, very organized when we sit, when we get ready
4 to do it. And when we have to... It's nothing,
5 none of your fault, and we appreciate all the work
6 that you have done.

7 And the City of Rantoul is very, very
8 much interested in this property being as clean as
9 it possibly can be so that there's no impact to the
10 humans and to the environment. I mean that's the
11 whole goal. But we also want to see it done as
12 quickly as possible basically because we know the
13 money is running out. Because back in the early
14 days when we started this, Virlon, I don't know if
15 you remember, we would sit around tables and holler
16 at people because they didn't do anything. And
17 they didn't. When I first got here, they weren't
18 doing anything. And they didn't do anything for a
19 long time. And it's too bad, but there doesn't
20 seem to be any remedy, except for us to keep
21 working and working hard and trying to get it done
22 as quickly as we can.

23 Now it's time for us to jump in and get
24 the politicians where they need to be in order to

1 secure the right kind of funding that we might need
2 in order to do the projects that we deserve and
3 that we need. Then it's time for me to get the
4 Mayor to do the things that he needs to do. But I
5 sure don't want to do that if it's out of line or
6 if it's too early or if it's not the right timing
7 or any of those things.

8 But if it is, you just need to let us
9 know. Because we do not interfere other than try
10 to make sure that we all understand we are in a
11 cooperative reuse environment here. We are no
12 longer a military base. But we still want it
13 clean. So...

14 MR. VIRLON SUITS: And, Ray, we will do
15 that, you know.

16 MR. RAY BOUDREAUX: But if there's a need
17 now to get our politicians involved, we will most
18 certainly do that. And we have a very strong
19 contingent of politicians that can probably get
20 what we need. But we're not a Superfund site by
21 any means. But what are we talking about in
22 numbers? Do you need \$5 million? \$200 million? A
23 billion? How much do you need?

24 MR. STEPHEN NUSSBAUM: Well, I want to be

1 very cautious about this. We're not saying that
2 we're going to have to spend everything or
3 whatever. But the Air Force has, the Federal
4 Government is very interesting. If you get money
5 awarded and you don't spend it by the third
6 quarter, they try to take it back and give it to
7 somebody that's going to spend it.

8 MR. RAY BOUDREAUX: Hey, I know! I've
9 been there.

10 MR. STEPHEN NUSSBAUM: And our projects
11 that come on the book... I'm sorry, Virlon. Do
12 you want to go into this?

13 MR. VIRLON SUITS: Go ahead. You're
14 doing fine.

15 MR. STEPHEN NUSSBAUM: The project on the
16 book is slated to be awarded the last quarter of
17 this fiscal year, which means not only that...
18 Christine, where's she at? She's the person that's
19 got to take all this stuff and then give it to,
20 say, Jacobs or another contractor and get a
21 contract written and awarded so that they can prove
22 that they spent the money, so that it doesn't get
23 taken way. Is that accurate, Chris?

24 MS. CHRISTINE OLGUIN: Yes.

1 MR. RAY BOUDREAUX: She's got a warrant
2 and she can't speak. She can't speak too freely
3 because it's very, very difficult for her in her
4 position, I understand, contracting officers. And
5 I appreciate the compromising position that you're
6 in trying to answer that question.

7 MR. STEPHEN NUSSBAUM: But, see, we're
8 all trying to get all these things done in a short
9 period of time.

10 MR. RAY BOUDREAUX: And all these people
11 understand that. And if you need for us... I mean
12 every person here, Lorraine understands that. She
13 was the head guy's secretary. She understands all
14 this stuff and how you have to spend money. So you
15 don't have to explain. All you have to do is tell
16 us when you want us to jump in and start getting
17 the work done. Okay? Because don't wait too late,
18 because we can't do things overnight. But if it's
19 time for us to do things and pull some strings and
20 talk to some people, I sure know some people. The
21 Mayor has some very good contacts throughout the
22 state and throughout the government. So...

23 MR. VIRLON SUITS: Okay.

24 MR. RAY BOUDREAUX: We'd be happy to pull

1 the strings.

2 MR. STEPHEN NUSSBAUM: It's not to
3 encourage you or discourage you, Ray. It's just
4 that so everybody knows there are push-backs
5 because we're trying to secure funding. The start
6 of the RI did get pushed back because we're trying
7 to secure funding. That's a fact. But we have
8 data that we think we're trying to use to lock the
9 funding up. So...

10 MR. VIRLON SUITS: And some of what was
11 briefed relative to the levels.

12 MR. RAY BOUDREAUX: Oh, that's been
13 forwarded up. So somebody has got it.

14 MR. VIRLON SUITS: Yes, my
15 understanding.

16 MR. RAY BOUDREAUX: Doesn't FC have a
17 method of getting funding?

18 MR. VIRLON SUITS: The funding is, we get
19 the funding, AFBCA gets the funding. We get it to
20 AFCEE, and then the AFCEE does the contracting.
21 Okay.

22 MR. RAY BOUDREAUX: So you're getting it
23 through closure accounts. That's even worse.

24 MR. VIRLON SUITS: The brag closure.

1 Lorraine.

2 MS. LORRAINE WIRGES: Off the record.

3 (Whereupon a brief discussion
4 was held off the record.)

5 MR. VIRLON SUITS: Open discussion? If
6 there's no open discussion, we're done.

7 UNIDENTIFIED SPEAKER: If the funds run
8 out, then you wait for another 6 years; is that
9 what you're saying?

10 MR. VIRLON SUITS: No. It does look
11 bleak.

12 MR. STEPHEN NUSSBAUM: After this fiscal
13 year, the money, the budget is dramatically
14 reduced. And they may even have to be put in to
15 fund it with regular Army installations and the
16 (inaudible). So they don't get special attention.

17 MS. LORRAINE WIRGES: And you have more
18 base closures coming up, so you're going to be in
19 trouble.

20 MR. VIRLON SUITS: That's why we were in
21 there, the middle of the record.

22 MR. GARY SCHAFER: I would say, Jackie,
23 your point to me, I think that was for USBCA to
24 offer its observation on this. We are aware that

1 brag accounts are dwindling. We are doing
2 everything we can to strongly encourage the Air
3 Force to obligate this money for Chanute Air Force
4 Base as soon as possible. If the brag accounts...
5 If this money is not obligated and this goes into
6 DERA, like Steve said, you know, the brag accounts
7 come to an end, there could be a long wait. We
8 don't want to see that happen. We are doing
9 everything we can to encourage the Air Force to get
10 this money now. So there are some decisions that I
11 think are pending that are being discussed at
12 fairly high levels as we speak.

13 MR. VIRLON SUITS: There is Defense
14 Environmental Restoration Account.

15 MR. STEPHEN NUSSBAUM: It's where all the
16 installations get their money, not just special
17 brag funds.

18 MR. RAY BOUDREAUX: Then is when they
19 decide who has the highest risk, who has the
20 greatest need? And so now you fall into... You
21 get racked up. So you may be way down at the
22 bottom of the rack.

23 MR. GARY SCHAFER: That's exactly right.
24 What happens with DERA is the sites that are the

1 Superfund national priorities list sites, those go
2 to the front of the line because it becomes an
3 enforcement issue for the military. If they don't
4 clean it up, then the regulators start extracting
5 penalties over time. So obviously there is, you
6 know, in terms of prioritizing things, the
7 Superfund sites get the top priority. Chanute Air
8 Force Base is not a Superfund site.

9 UNIDENTIFIED SPEAKER: And so much work
10 has been done already that it just gets less and
11 less on the list.

12 MR. RAY BOUDREAUX: And the same thing is
13 true on Superfund sites. There's been a lot of
14 work, a lot of investigation, a lot of remediation,
15 a lot of characterization, a lot of stuff to design
16 remediation. It's very, very, very costly.

17 Okay. We're done, I think.

18 MR. VIRLON SUITS: Anything else? (No
19 response.) Thank you.

20 (Which were all of the
21 proceedings held before the
22 Restoration Advisory Board
23 this date, said meeting being
24 adjourned at 9:07 p.m.)

MARLA K. DARSHAM, CSR
and Notary Public

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 1	Page 3
<p>1 STATE OF ILLINOIS) 2 COUNTY OF CHAMPAIGN) SS 3 4 5 6 BEFORE THE 7 RESTORATION ADVISORY BOARD 8 9 IN RE: CHANUTE AIR FORCE BASE) 10 11 12 13 14 PUBLIC MEETING HELD 15 May 7, 1998 16 Aviation and Development Office 17 One Aviation Drive 18 Rantoul, Illinois 19 7:00 p.m. 20 21 22 AFFIRMATIVE REPORTING COMPANY 23 1478 Glenn 24 Decatur, Illinois 62526 (217) 875-1414 or (800) 886-DEPO Fax (217) 875-1472</p>	<p>1 MR. BRYAN RUNDELL: I'm Bryan Rundell. I 2 also work for Jacobs and am Department Manager for 3 the (inaudible). 4 MR. JIM SKRIDOLLS: Jim Skridolls. I'm 5 the Program Manager for Jacobs' work here at the 6 former Chanute Air Force Base. 7 MR. RAY BOUDREAUX: Good, Jim. 8 MS. ANNE WALKER: Anne Walker, Quality 9 Institute (inaudible). 10 MR. DAN BRADY: My name is Dan Brady. 11 I'm the AFCEE Field Engineer here at Chanute, the 12 former Chanute Air Force Base. 13 MS. CHRISTINE OLGUIN: I'm Chris Olguin. 14 I'm the contracting officer with AFCEE for the 15 former Chanute Air Force Base. 16 MS. MARY UREY: I'm Mary Urey. I'm here 17 to observe. 18 MS. SYLVIA CROWEN: Sylvia Crowen, AFCEE 19 Team from San Antonio. 20 MR. RON PORTER: Ron Porter from the 21 Human Systems Center in San Antonio. 22 MR. DREW RAK: Drew Rak. I'm a 23 toxicologist with AFCEE, and I work for Sylvia. 24 MR. JEFF VILMAN: I'm Jeff Vilman with</p>
Page 2	Page 4
<p>1 TRANSCRIPT OF PROCEEDINGS 2 3 MR. VIRLON SUITS: You should have a copy 4 of this in front of you. I hope we didn't run 5 out. We probably came fairly close to having not 6 enough copies, but hope you do have a copy in front 7 of you. 8 I do welcome you. Just in the matter of 9 introductions here, I always get myself in trouble 10 doing this, so I guess actually, Dean, we'll start 11 with you. Just introduce yourself. Go right down 12 the line. We'll take enough time to do this. 13 MR. DEAN WILLIAMS: My name is Dean 14 Williams. I'm from Jacobs Engineering. I'm just 15 here to observe. 16 MR. MIKE WILLIAMS: My name is Mike 17 Williams. I'm with Jacobs Engineering also. I'm 18 specifically working on the FTA-02 and -932 19 projects at Chanute Air Force Base, and a few 20 others. 21 MR. RAY BOUDREAUX: There is no Chanute 22 Air Force Base. 23 MR. MIKE WILLIAMS: The former Chanute 24 Air Force Base.</p>	<p>1 The Environmental Company. I'm the Project Manager 2 for what's called the "Seven Sites Remedial 3 Investigation." 4 MR. CRAIG THOMAS: I'm Craig Thomas. I'm 5 a geologist with USEPA. 6 MR. CARY WARE: Cary Ware with the 7 Illinois Department of Public Health, Champaign 8 (inaudible). 9 MS. LORRAINE WIRGES: Lorraine Wirges, 10 Rantoul Garden Club. 11 MR. VIRGIL KRONE: Virgil Krone, 12 Environmental Engineer, Chanute. 13 MR. GARY SCHAFER: Gary Schafer, USEPA 14 Project Manager. 15 MR. RAY BOUDREAUX: Ray Boudreaux with 16 the City of Rantoul. 17 MR. FRED RAUCH: Fred and Barb Rauch, 18 residents. 19 MS. JACQUELINE FOTHERGILL: Jacqueline 20 Fothergill, resident also. 21 MR. STEVE NUSSBAUM: Steve Nussbaum, 22 Illinois EPA. 23 MR. VIRLON SUITS: Thank you very much. 24 The last time, we had intended to say something to</p>

RAB MEETING HELD MAY 7, 1998

CondenseIt™

RE: CHANUTE AIR FORCE BASE

Page 5

1 this group here about risk assessment and how those
2 procedures were done. We didn't have a person here
3 at that time. So I guess actually between the time
4 we put out the mail or sent out the mail and we
5 printed the agenda, we took that off. We do, in
6 fact, tonight have someone who is able to address
7 that.

8 And I guess at this point I would again
9 call on Sylvia Crowen as Team Chief to go ahead and
10 introduce the person that will be doing that for
11 us, Sylvia...

12 MS. SYLVIA CROWEN: Yes. We brought with
13 us from San Antonio both Drew and Roy... or Ron,
14 I'm sorry, Ron, to present to you risk assessment.
15 And you know basically what it is, what it means.
16 So feel free to ask them any questions. They do
17 have handouts that they will be giving to each of
18 you.

19 MR. RON PORTER: My name is Ron Porter
20 again. I work for the Air Force and Air Force Base
21 and I work for the Surgeon General. Drew and
22 Sylvia work with Civil Engineering. And Drew and I
23 have similar jobs, only Drew's reporting chain goes
24 up the side of the house where risk assessment is

Page 6

1 used to develop cleanup goals as to evaluate a site
2 and see if there's a risk at that site from
3 exposure. And then the information that's
4 generated in that risk assessment is used by the
5 cleanup team to choose remediation technology and
6 then implement that technology with the funds that
7 are available. My side of the house works more
8 with some of the other agencies like Departments of
9 Health in states and Agency for Toxic Substances
10 and Disease Registry. And these folks are more
11 into the public health assessment activities. And
12 not only do they look at baseline risk assessments
13 and the information that comes in as part of a
14 remediation project, but they also collect
15 information from local health agencies, those
16 people who interview residents who live nearby.
17 They interview activists and other stakeholders in
18 the process. And they try to take a more global
19 look.

20 MR. DREW RAK: Just briefly, what's
21 getting passed around is a glossary of risk
22 assessment terms. So if there's some group of
23 words that... We tend to be very colloquial a lot
24 of times. The other is a full set of slides. We

Page 7

1 will not be using all the slides that are in that
2 set. But all the ones we do use are in there.

3 And then lastly is a handout that we
4 borrowed from EPA. It's from Superfund Today
5 publication, and it's entitled "Focus on Risk
6 Assessment." And I think it provides an excellent
7 overview of Superfund risk assessments. So those
8 three items are going around.

9 Thank you, Ron.

10 MR. RON PORTER: Sure. And my
11 presentation is designed to be an interactive
12 presentation. It's one that has sort of developed
13 over the last 5 years as we've been invited as
14 representatives of the Surgeon General to go out to
15 bases, and brag bases as well as active bases, and
16 to talk to groups like this, Restoration Advisory
17 Boards that are not quite sure in some instances
18 what their job is. They understand that they're
19 there to represent the community. And most of them
20 have some concerns of their own about where they
21 live, and maybe they have a history, some knowledge
22 about some of the activities that occurred on the
23 base. And they want to know about how the risk
24 from those activities is evaluated.

Page 8

1 So we have developed this to go out to
2 the community and say "Here's the way the risk
3 assessment process works." We try to do it in
4 terms that lay people can understand, because in
5 the Federal Government we use lots of acronyms and
6 big terms and then on the scientific side we also
7 use a lot of big terms. And we try not to talk
8 down, but to use language that is easily
9 understood.

10 And then lastly, to give you some
11 information from our experience, some information
12 about where you fit into the process, what is it
13 that the Restoration Advisory Board is allowed to
14 do and is maybe directed to do by the establishment
15 of that group.

16 To get some just basic terminology out of
17 the way, what is "Risk"? It's the probability of
18 an adverse outcome. And "adverse" is the key word
19 there. Risk inherently includes some adverse
20 outcome. For environmental risk, generally we're
21 talking about that adverse outcome is an adverse
22 health effect. And that could be applied both to
23 the human side and it also can be applied to the
24 ecological side. Or there are inputs to the bugs

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 9

1 and bunnies that will be exposed to the
2 contaminants at a particular site.
3 The National Academy of Science was
4 charged to develop a method to do risk
5 assessments. And back in the '80s they came up
6 with a book, it's called "the Red Book," a little
7 small guy, and its title includes the words process
8 for doing risk assessments in the Federal
9 Government. And that was a long time before EPA
10 got involved with these cleanup sites. EPA took
11 that Red Book and EPA developed their methodology
12 for doing risk assessments. And that's basically
13 the same methodology that you'll see in the
14 products that come out of the cleanup program here
15 at the former Chanute Air Force Base.
16 Here are the things that we know we have
17 to look at. The nature and the amount of hazard.
18 What is the "Hazard"? Is it a chemical? Is it a
19 physical hazard? Could it be radiation, some of
20 those other things? Could it be a safety hazard?
21 And then, what is the amount of that hazard? Is it
22 a very high concentration in certain areas or is it
23 a very low concentration spread out over a large
24 area?

Page 10

1 Also from EPA we get most of our
2 information about what the expected health effects
3 are. If I find lead at a site, I can go to a
4 document published by EPA and I can look up "Lead,"
5 and I will see a number that EPA has determined as
6 a cutoff number, a screening number. And if the
7 lead concentration is lower than that number, then
8 EPA, in general, will say "Well, that's probably
9 not a hazard." We need to spend our time and our
10 resources on other chemicals that might exceed some
11 screening values.
12 We also look at characteristics of
13 exposed population. Kids, pregnant women, healthy
14 adult males that are in a work place environment,
15 in an industrial environment. Why do we do a risk
16 assessment? These are the reasons that sites are
17 identified for risk assessments. Because we have
18 some historical information about something that
19 took place at that site, either accidentally or on
20 purpose. On that site there was a spill. That was
21 an accident. Or on that site we had some sort of
22 process. The Air Force cleaned equipment there.
23 And from that cleaning of equipment it generated
24 metals or organic contaminants or something like

Page 11

1 that. And so we know that from history that there
2 was something that happened there and we need to
3 check and see when we stopped that activity and
4 cleared that property, if there is some risk that's
5 left over.
6 The baseline risk assessment looks at the
7 site, and that's what occurs in the remedial
8 investigation in the RI. The baseline risk
9 assessment does the evaluation, and it tells you
10 what the risk is if we don't do anything. We can
11 go out to this yard out here and we can do a
12 baseline risk assessment. There's some prescribed
13 methods that we follow about sampling. There are
14 some prescribed methods that we follow about the
15 analysis of those samples, where we take the
16 samples, how many we take. And then we calculate
17 the risk. We use numbers from EPA. We make some
18 assumptions about exposures, and we calculate the
19 risk. That's the baseline risk.
20 Now we hand that information over to the
21 CE guys on the other side, the Risk Managers, and
22 they determine what to do about it. How do we
23 mitigate this risk? Or is this a risk that needs
24 to be mitigated. If it's 10 feet under this grass,

Page 12

1 there may be a risk if you crawl 10 feet under the
2 grass. But as long as it's buried and has grass
3 growing on top of it and it's the type of chemical
4 that doesn't move around, then there's very little
5 risk. You could dig it up, you could spend a lot
6 of money digging it up and move it out of the way.
7 But if you're doing that, you're taking money away
8 from maybe another site on your property that might
9 need a quicker response.
10 This is just our general remediation
11 flowchart for the circle process for the cleanup
12 process. You probably maybe even know what those
13 acronyms up there are for. The remedial
14 investigation, feasibility study, and some work
15 that Drew and I have been doing. These are the
16 places where we've identified, that we have
17 identified that are opportunities for risk
18 assessment. This baseline risk assessment that we
19 do in the RI, in the feasibility study we're
20 looking at this level of contaminant here, and the
21 engineer now has to make a decision about is there
22 a method out there first that I can use to clean it
23 up? And if so, do I have the money to do it? If
24 there is a high risk and I don't have the money to

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 13

1 do it, then as a Risk Manager I've got to go out
2 there and get that money and clean it up.

3 Questions so far? Interrupt me if I'm
4 going too fast. I've got more than I should try to
5 cover in the length of time that I have. But stop
6 me as we go.

7 Here are the steps in the risk assessment
8 process. And it goes all the way back to the early
9 (inaudible) when the National Academy of Science
10 said "This is the way the best scientists in the
11 United States and Canada thinks we should do risk
12 assessment."

13 Data collection and evaluation. And I'll
14 briefly describe each one of those. Exposure
15 assessment and the toxicity assessment. And notice
16 that these two guys, they can occur at the same
17 time. It's not that linear process. We can do
18 exposure assessment and the toxicity evaluation at
19 the same time. At the end of that process I
20 probably have a number. Engineers love numbers:
21 "Give me a number. If it's above it, I'll do
22 this. If it's below that, I'll do that." But I
23 have a number now that I need to put into some
24 context. How comfortable am I with that number? I

Page 14

1 have to tell the engineer that "Yes, I've got this
2 number. But, you know, I really don't know how
3 much time people spend on this property." I made
4 some assumptions about that, and I may have made
5 assumptions based on some statistical package I saw
6 or some research project that evaluated people's
7 time on the flights.

8 So I tell the Risk Manager, the engineer
9 that's responsible for the cleanup, "I have this
10 number. I'm very comfortable with it because the
11 data I have is solid. The toxicity data is solid.
12 The exposure data is solid. The concentrations, I
13 pretty much know where the contamination is. And
14 that's a good number." So that's good for the
15 engineer.

16 What's bad for the engineer is I'll give
17 him a number and it's really soft. "Here's the
18 number that you wanted, but I'm not too crazy about
19 the numbers that I got for the toxicity." I'm not
20 sure that we're actually looking at the right
21 chemical for toxicity. I know that it's a
22 solvent. But I couldn't find any good data on this
23 solvent, so I substituted something else.
24 Something that's kind of like it that may act like

Page 15

1 it. But I don't have good data. And that's the
2 information that the Project Manager needs to know
3 to strengthen his decision-making process.

4 To data collection, these are made-up
5 numbers. Please don't assume that those are the
6 former Chanute Air Force Base numbers. I think
7 they were numbers somewhere like in California.
8 And this is the historical record of sampling from
9 a sampling well for truckload ethylene. So you can
10 see back in '89, August/September, we had some
11 pretty high hits. Now we sampled monthly, down
12 here in December, and we've got pretty low numbers.
13 Well, a couple, there can be a couple of reasons
14 for that.

15 Back in July, July through September the
16 methodology that I used to measure TC and
17 groundwater might not have been that great.
18 Because these methods are developing every day, the
19 technology is getting better. So I may have, I may
20 be able to see it more clearly. And that's maybe a
21 hard analogy. I'm more confident in the analysis.
22 It could go the other way, too. The numbers can be
23 higher. The technology can get better and say what
24 we were measuring earlier is actually lower than

Page 16

1 what we saw.

2 So we look at what did Chanute do? Was
3 Chanute ever a sack base? Did it do training
4 stuff? We can sort of look back through the
5 history and say Chanute did this for the first
6 10 years and then for the next 30 it did this, and
7 it gives us an idea of the activities that occurred
8 at Chanute. And then we can sample for the things
9 that we know are related to those activities. We
10 look at old aerial photographs. The corporate
11 memory is very important. If I go to a new site, I
12 try to find the oldest guy that works at CE, that's
13 been there 45 years, because that guy can tell you
14 "I remember back in the 40's, we did this over
15 here. I remember that we used to have a landfill
16 over here."

17 And we found a lot of stuff that way. We
18 found old wells. We found lots of stuff talking to
19 that guy who has been around a long time. The blue
20 suiters may not be your best source of
21 information. They've got the books; they look
22 through the book. But they don't have that on-site
23 history that a lot of folks will have, the sampling
24 records, the emergency spills. The public source,

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 17

1 also you go to the newspaper. It says we had a
2 plane crash at this site in 1949. Well, that may
3 have escaped, you know, our collection of
4 information. And we need to go out to that site,
5 do some sampling and say "There's nothing here" or
6 "Maybe there is something here that we need to look
7 at."

8 And so at the (inaudible) of our data
9 collection step, that very first step, I now have
10 identified sites. I've gone over the base with a
11 fine tooth comb. I've talked to everybody I can.
12 And now I have a list of maybe a hundred sites that
13 are potentially impacted. I also have a list of
14 chemicals based on the activities. Whether the
15 spill? Was it a crash? What occurred there? I
16 know which media or what are contaminated. By
17 "media," I mean is it surface water? Is it
18 groundwater? Or is it soil? Because I know that
19 based on what it was the physical and chemical
20 characteristics of the compound. If it's TCE, I
21 know that it goes through soil pretty readily. It
22 goes into groundwater and hangs around for a long
23 time. If it's some other metals, it may not move
24 as much. It's going to be right there in the

Page 18

1 soil. And maybe my best bet is to come here with a
2 backhoe, scrape up a couple yards of soil, and I'm
3 done with that site.

4 That's all right. I know how high my
5 concentrations are. And very important, I also
6 know what I don't know, or maybe I don't know all
7 of what I don't know, if that makes any sense, but
8 I recognize it was data gaps. I don't have any
9 information on this groundwater out here where I
10 think there was some activity. So I need to get
11 mobilized and get a contract on mine (inaudible)
12 and get somebody out there to sample.

13 Exposure assessment is next. We can go
14 ahead with that. And this is a real busy graph, I
15 know. It tries to capture in one picture. It has
16 the different media that we look at and the
17 different pathways. So I've got this industrial
18 activity out here. I see some air contamination
19 coming out of that stack. It looks like it's
20 fallen on. It has the ground there. And I've got
21 kids playing in a sandbox. So I've got some sort
22 of... Something raining down out of the air.
23 Here's something that looks like I've got some
24 off-gassing there, and I've also got some

Page 19

1 groundwater contamination in the stream. And
2 here's Old John out here. He's been fishing in
3 this stream for, it was the last 30 years. He's
4 out there catching that fish.

5 Depending on what that chemical is, not
6 all chemicals will move into fish. Depending on
7 what that chemical is, it could be something that
8 might be in fish tissue and that might be something
9 else we look at. So not only do we look at air and
10 water and soil, but we also look at the other
11 potential pathways. Can I be exposed through
12 gardening? Can I be exposed through catching fish
13 or killing deer? And then after I've looked at the
14 potential ways that a person is exposed, I also
15 look at the types of, the duration of the exposure
16 and the frequency of the exposure.

17 If I'm an industrial worker and I work at
18 a tire plant, there are going to be some industrial
19 solvents there. Benzene is the one we used to use
20 a lot in the tire business. And I'm going to be
21 exposed generally speaking for 8 hours a day for
22 250 days a year. I get 2 weeks off for vacation.
23 So that takes care of those other guys. It's
24 5 days a week. I have a pretty good idea about

Page 20

1 that exposure. I also have a pretty good idea
2 about the concentration of the exposure because
3 probably that plant has some data about how much we
4 used and what the temperature was and all those
5 things that would affect.

6 Do I drink 2 liters of water a day?
7 That's another. We've got some assumptions we make
8 about how much people eat, how much they drink, how
9 much they breathe. How long do they live in a
10 house? That's an important one. You know, if it's
11 a residential scenario, does a person in Illinois
12 live in a house 30 years? Is that sort of the
13 average? Or is it like some bigger cities where
14 the average is like 3 years or 5 years? In the
15 military it's like 7 years or 9 years. We did some
16 assessments where we went back and went through
17 military housing records because there were
18 pesticides in the soils. Well, how long is a
19 person exposed in this house? The military records
20 showed us with pretty good clarity that the maximum
21 time was 9 years and the average time was a lot
22 less than that. Another busy slide. But these are
23 the things we look at.

24 For a brag base, this is important. Am I

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 21

1 going to use this section of grass out here? Am I
2 ever going to build a house on it? I don't know.
3 I can't answer that question. Or is it going to be
4 like this place, is it going to be a commercial
5 endeavor, or is it going to be agricultural? Is it
6 going to be turned into a park? And for each of
7 these future land use activities there's a set of
8 values that you plug into the calculation of the
9 risk.

10 If it's residential, we assume that
11 people are there for 300 and how many, 350 days a
12 year. They also get 2 weeks' vacation. So if I
13 live in this house, the number that EPA puts into
14 that calculation of risk is 350, assuming you get
15 2 weeks off for vacation and you're not going to
16 stay at home and mow the grass, you're going to go
17 somewhere else.

18 Intake rates, you know, all of us drink
19 2 liters of water a day. Our kids ingest
20 200 milligrams of soil a day. Us adults ingest
21 100 milligrams of soil a day incidentally. You
22 know, we work in the garden, we have hand to mouth
23 contact, or putting our pens in our mouth and
24 things like that. Those are the defaults that EPA

Page 22

1 has out there for us to use. If those defaults...
2 If we don't feel like those are really
3 representative, if you're in a warmer climate.
4 Drew and I come from San Antonio. And 2 liters of
5 day is probably not appropriate. That includes
6 coffee, tea, soft drinks, all that. We drink a lot
7 more down there. It was 95 and like 90 percent
8 humidity when we left.

9 So we've identified our sites, and now
10 we're doing the exposure assessment. And here are
11 the things that we... Here's the things that we
12 have in hand when we finish the exposure
13 assessment. We know something about the
14 populations that live nearby. We have an idea
15 about the physical setting, how much rainfall it
16 gets and temperature and some of those other
17 things. And we also know something about how much
18 an individual is exposed to based on his time
19 on-site and the concentration of the chemical.

20 I'll just spend the shortest time ever on
21 toxicity because this is the one that we don't fool
22 with too much because that's a number that's
23 generated by EPA. And for somebody from the Air
24 Force to say we don't agree with that number, EPA

Page 23

1 would say "Well, let's put in a fund of
2 \$100 million and let's do the research and change
3 the number if you don't think it's that good." So
4 we don't do a lot with the toxicity stuff. What I
5 will tell you about the toxicity is that the data
6 is divided among those, between those chemicals
7 that are either cancer-causing or noncancer-
8 causing. And the assumptions that are plugged into
9 the risk assessment are a little bit different for
10 each of those.

11 To give you an idea... And most of our
12 information on this toxicity stuff is from animals,
13 right? It only makes sense. We've got some human
14 data on some things where we have known exposures
15 to a discrete compound, not a mixture. We've got
16 some information on that. But for the most part,
17 for most of the chemicals in the data base for
18 toxicity, the information is rats and mice. And so
19 they take an experiment, here's the health effect
20 in the rat. And that health effect may be
21 something only like watery eyes. That may be the
22 effect they measure. And as the dose went up, as
23 we increased the dose of this gas to this rat, his
24 eyes watered more and more, or he was anxious, more

Page 24

1 and more anxious they could tell. So they measured
2 the levels. At what point did that effect start in
3 the rat? And then they watch to see how that
4 effect went up.

5 Now how do you relate that to the human?
6 That's as hard as can be. You have to build in
7 safety factors, times the safety factors.
8 Depending on which animal you use and which
9 exposure you use, it may be a thousand. So I take
10 1 as the number that caused the effect in this
11 rat. It was just 1 milligram of this stuff. Well,
12 then, in order to make it safe for a human, I have
13 to divide it by 1,000. That's the way EPA has
14 chosen to arrive at a number from animal data that
15 they presume to be protective of human. That's
16 important for you to understand, I think. Most of
17 the data is in animal data. And all of that
18 business that I talked about earlier about how
19 certain amount (inaudible), that information is
20 available for us, too. This is a real strong
21 number. We feel like the number for Benzene is a
22 good one or this number is a little softer.

23 Yes, sir.

24 UNIDENTIFIED SPEAKER: I just want to

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 25

1 add, you said 1,000. Most numbers are between
2 10,000 and 30,000. So you take a safe dose for a
3 rat, you divide a minimum 10,000, a maximum of
4 30,000.

5 MR. RON PORTER: Because it's a factor of
6 each, I'm going from a rat to a human, and that's
7 10. I expose the rat orally. I expose the rat
8 orally, but I'm looking at some other input that's
9 another factor. They just keep building in these,
10 dividing by these factors of 10 until they arrive
11 at a dose that they think is safe for humans. And
12 then finally, which at that point, as I mentioned
13 earlier, I've come up with all I can do or the
14 person that's doing that risk assessment now has a
15 number for this site for this chemical, for this
16 exposure root, for this future use of this land,
17 and I hand it to the engineer. But I need to add
18 those qualifiers in there that let him know how
19 comfortable I am with the risk assessment. So I
20 give him something.

21 Yes, sir.

22 UNIDENTIFIED SPEAKER: On toxicity, I
23 think it's very important to indicate for a hazard
24 and history for nontoxicity.

Page 26

1 MR. RON PORTER: That's right.

2 UNIDENTIFIED SPEAKER: I really hate to
3 leave these people with an idea that there's a
4 threshold effect.

5 MR. RON PORTER: I think there is.

6 UNIDENTIFIED SPEAKER: You may think
7 there is, but we're not allowed to do that.

8 MR. RON PORTER: I understand. And I
9 will... Let me put that graph up there. And I
10 didn't mean to slight that in any way. There it
11 is. What's the obvious difference there in that?
12 It goes to zero. The thinking up until this year,
13 the philosophy, or maybe the political stance up
14 until this year has been that a molecule of a
15 cancer-causing substance can cause cancer. That's
16 the EPA philosophy. So no matter where this curve
17 started in this experiment as I showed in the
18 other, they draw that line through zero. So
19 they're saying that if you go out into the sun and
20 you're susceptible to skin cancer and you get one
21 UV radiation, whatever that package of energy is, it
22 can knock off a molecule and affect your DNA and
23 you can get cancer from that.

24 We now know though based on some research

Page 27

1 that for some chemicals there's a threshold.
2 Probably for TCE there's a threshold because,
3 because it doesn't affect the DNA. It controls
4 something. In fact, it affects something else that
5 controls the DNA, the repair mechanism or
6 something. If I was misleading, I didn't mean to
7 be on that.

8 UNIDENTIFIED SPEAKER: Well, it's just
9 important to educate the people on the two ways we
10 do this. One is a non-cancer health effect and one
11 is (inaudible).

12 MR. RON PORTER: And the bottom line of
13 this... He's exactly right. The bottom line of
14 this is these are not things that we really
15 debate. We take what the State of Illinois says is
16 their cancer slope factor or noncancer comparison
17 value or what EPA says. That's just what we do.
18 And that's what we're allowed to do by our risk
19 assessment philosophy.

20 Now the Risk Manager is the guy that's
21 got the tough job. I will not... The Risk
22 Assessor, our jobs are easy. The Risk Assessor's
23 job is easy compared to the Risk Manager. Because
24 now he has to take this number or series of numbers

Page 28

1 and has to make a decision about "Where do I
2 allocate my money? How do I rank these sites? How
3 do I address maybe some contamination that we don't
4 have the technology to really clean it up
5 effective? I can pump groundwater and treat it,
6 but I don't get a lot for my dollar in a lot of
7 places. Once I get down to low levels of
8 contamination there, I don't get much in my
9 opinion."

10 Go ahead, Drew. I won't say a lot about
11 this except that for the cancer, and this gentleman
12 brought up this cancer stuff, this is one of these
13 things that we have trouble reconciling. And these
14 are background levels of cancer. And I've been to
15 communities all over that say "I know four people
16 on my street that had cancer. My mother died of
17 cancer." And those things are all true. Those are
18 not falsehoods. The fact is that 1 in 4 deaths
19 results from a cancer, all causes. I heard a
20 statistic on cancer from environmental exposure.
21 It was... Do you remember, Drew, what it was?

22 MR. DREW RAK: (Nodding negatively.)

23 MR. RON PORTER: No? It was low. It was
24 low. No exposure, no risk. That's what I think

RAB MEETING HELD MAY 7, 1998**Condenselt™****RE: CHANUTE AIR FORCE BASE**

Page 29

Page 31

1 the end of that one was supposed to be.
 2 Okay. Here is my summary. Risk
 3 assessment is an evaluation of potential human
 4 health and environmental impact from chemical
 5 exposure. Or other things. It could be
 6 radiation. It could be from chemicals that are in
 7 medicine. It helps determine which of the risks on
 8 sites need to be reduced or eliminated. And then
 9 it forms the foundation for the Risk Manager to
 10 make some decisions about which sites to do first,
 11 what types of remediation strategies to use for
 12 each one.

13 Is that the last one?

14 MR. DREW RAK: Yes, it was.

15 MR. RON PORTER: That was the last one.

16 Oh, no, it's not. What did I do?

17 MR. DREW RAK: Oh, I'm sorry.

18 MR. RON PORTER: Those are the things
 19 that RAB members... These are not an exclusive
 20 list. These are the things RAB members have
 21 participated at other raps. They give us
 22 historical perspective. They remember things new
 23 people on-site don't remember. They also have that
 24 memory about potential exposures or know something

Page 30

1 about landfills or some other sites that could
 2 provide an exposure. They help evaluate,
 3 especially on brag sites, what the future land uses
 4 can be. What are each of these parcels and
 5 buildings going to be used for? And that will
 6 directly affect maybe the money allocated, the risk
 7 assessment that's done on that site. Which sites
 8 are most important for you to get cleaned up
 9 first? Is it sort of that cost benefit thing? I
 10 can spend some money here and get some good value
 11 out of this site or I can work on this site for a
 12 long time and not have it available for use. Maybe
 13 that's your goal though. Maybe that site bothers
 14 you so much that you would feel better living near
 15 it if it was cleaned up.

16 And finally, the other thing is to share
 17 knowledge with the community. As RAB members you
 18 represent a larger constituency out there that
 19 knows what goes on in these meetings and what is
 20 going to happen in the future out here at the
 21 former Chanute. I wasn't going to do that one,
 22 Drew, but you forced me.

23 MR. DREW RAK: I'm sorry. It looks like
 24 you took it out.

1 MR. RON PORTER: Risk assessment is not a
 2 lot of things. As I used to be a hard scientist
 3 and now I'm a soft scientist, which means I used to
 4 do stuff that was pretty cut and dry. When I did
 5 my experiment, I got some numbers. I got something
 6 I could really put my hands around. And in the
 7 risk assessment business sometimes you can't really
 8 get a firm grasp on things and you have to build
 9 the end on these uncertainties that in your
 10 professional judgment will be protective of human
 11 health and environment.

12 That's all I'm going to say about that
 13 one. Thank you for your time.

14 MR. VIRLON SUITS: Any quick questions?

15 MR. RON PORTER: Sorry I took so long.

16 MR. VIRLON SUITS: No. It was
 17 informative. One of our goals of our advisory
 18 meeting is to go into more of an educational type
 19 of process, to educate the RAB membership as far as
 20 what we're up against and what we're doing. We'll
 21 try to get one of these at probably each and every
 22 meeting. And next time we'll have another one
 23 here. So...

24 MR. DREW RAK: If there's a specific part

Page 32

1 of that 4-part risk process that maybe you would
 2 want us to come back in some more detail, we can do
 3 that as well. This is kind of the overview. Ron
 4 presented 4 boxes. And if there's one that kind of
 5 grabs people's attention, we can come back.

6 MR. RON PORTER: Drew and I are
 7 consultants to the Air Force, and our telephone
 8 numbers are on that sign-up sheet. If there's
 9 questions you're not comfortable in asking in a
 10 public forum, or if there's someone you might know
 11 who might not ask a question in this forum, we'll
 12 be glad to respond to those questions. If you're
 13 not comfortable with an Air Force person answering
 14 them, we can certainly connect you with our
 15 colleagues that work at EPA or in the states that
 16 would give you information I think that would help
 17 you understand the process.

18 UNIDENTIFIED SPEAKER: (inaudible
 19 question.)

20 MR. RON PORTER: That discussion is in
 21 the handout, and I pulled it out. But you're
 22 right. The important thing... And I had that as a
 23 bullet at the bottom, and I sort of went over that
 24 quickly. It says "No exposure, no risk." In order

RAB MEETING HELD MAY 7, 1998

CondensIt™

RE: CHANUTE AIR FORCE BASE

Page 33

1 for there to be any risk from that chemical, it has
 2 to be available in the body at the tissue at which
 3 it affects. That sounds kind of complex. But the
 4 chemical, you have to be exposed to that chemical
 5 and that chemical has to be in the form in your
 6 body that causes the effect that for which it's
 7 famous, whatever that is.
 8 So if you're not exposed to groundwater
 9 and there's something in the groundwater, there
 10 will be no effect. Or if you're not exposed to
 11 this soil out here and there's something in the
 12 soil, or you think there's something in the soil,
 13 there won't be an effect. That has to be
 14 complete. That pathway has to be complete. And
 15 I'm not sure where you wanted me to go with that.
 16 UNIDENTIFIED SPEAKER: It's kind of like
 17 a fire triangle where you've got dots and fuel.
 18 The same thing applies to risk assessment. If you
 19 have a source, the containment, you have to have a
 20 pathway or a way for it to get to you. And then
 21 there has to be a receptor, you. You take away any
 22 one of those three, there's no risk. Because in
 23 order to have risk, you have to have all three.
 24 MR. RON PORTER: And to finish that, an

Page 34

1 exposure doesn't always result in the health
 2 effect. You know, it's not always "If I'm exposed,
 3 something is going to happen." Our livers
 4 especially have evolved over the years to protect
 5 us very well against all sorts of compounds.
 6 Well, thank you very much for your time.
 7 MR. VIRLON SUITS: The second item on the
 8 agenda is that of remedial action sites. I'm not
 9 going to dwell on that. We've covered this
 10 before. Most of the sites, once again, be reminded
 11 they're in the operable Unit 2. And specifically
 12 those items that we've been working on most
 13 recently are the landfills. Along those lines I
 14 have put on your agenda there because those are
 15 restricted areas. You will notice we have put up
 16 some signage. We are going to expand on that
 17 because of what we have certainly gathered in the
 18 way of data with respect to the landfills and then
 19 also with respect to the Fire Training Area and
 20 several of the other sites. We're not as much into
 21 the 7 sites yet at this point. But of those sites
 22 we are going to treat those with more, I guess the
 23 terminology would be "urgency." And from that
 24 standpoint we will be installing a fence for the

Page 35

1 primary purpose of what I just said. We now have
 2 enough information to where certainly the fencing
 3 is appropriate and needs to be installed.
 4 The sideline issue of that is that the
 5 weekend people that are here are getting very
 6 frustrated certainly with people driving through
 7 there and everything. So this will stop that flow
 8 of traffic. But we did want to bring that up to
 9 the community, that that will be happening here in
 10 the next month or two in the way of fencing in
 11 installation.
 12 If there's any questions on that?
 13 MR. RAY BOUDREAUX: Virlon, I think you
 14 and I should talk at some other time on that
 15 subject, if we can.
 16 MR. VIRLON SUITS: Yes, we will. We have
 17 not talked on that yet. We have not established
 18 the exact lines or what.
 19 MR. RAY BOUDREAUX: Yes, we need to talk
 20 about that. And if there's a hazard, of course we
 21 don't object to it being sealed off, but there may
 22 be some other ways we can do that besides a fence.
 23 MR. VIRLON SUITS: With that as Agenda
 24 Item No. 4, which is Landfills Progress and Status,

Page 36

1 I know what we had talked about in terms of length,
 2 Bryan. I don't know how innovative you are, but
 3 try to hit the real important parts. This is Bryan
 4 Rundell. He did speak with you last time.
 5 MR. BRYAN RUNDELL: I'll go quick. I
 6 spoke with you last time. What I'd like to do is
 7 just give you an update on what we've done. We've
 8 collected some information. I think the last time
 9 I spoke about it I showed you some nice pretty
 10 pictures showing we did a geophysics survey, kind
 11 of looked underneath the ground and told us where
 12 the... And I'm focusing on the landfills. It told
 13 us basically where the waste in the landfills was
 14 deposited since we didn't have good enough
 15 historical records to say exactly where the waste
 16 was. I'm going to go over that. Field
 17 investigations that (inaudible). I will show you
 18 some of the data we've collected showing there is
 19 some contaminants we've detected in soils and in
 20 water in the landfills that are above published
 21 values that IEPA and EPA publishes.
 22 And that kind of leads into what Virlon
 23 was saying, which kind of puts us into a situation
 24 where we probably need to take some action to

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 37

1 restrict access to these landfills. I'll try to go
2 quick here. I'm just going to go right on into
3 it.
4 The last time I spoke that we were going
5 to do a CPT investigation. And what that was is it
6 was a way to... Very similar to drilling wells
7 ...it's a way to punch an instrument which measures
8 the resistance as you push it down, and it tells
9 the difference between the sand and the clay. And
10 I think the most important thing we probably
11 determine from that investigation using the CPT,
12 and that's what this color map shows, it led us to
13 a conclusion that we really didn't know at the
14 time, and that is if there's a pretty thick sand
15 unit underneath the area where the landfills are at
16 OU-2.

17 If you look in here, these areas that are
18 pink on the diagram, they show the sand unit is
19 about 8 feet thick. And that's in your upper
20 shallow unit, your Wisconsin till. And that's a
21 pretty thick sand unit for that till, which means
22 it makes a substantial amount of water. And when
23 you do a risk assessment I was talking about
24 earlier, you have to assume a future scenario for

Page 38

1 groundwater. That's one of the things you do. You
2 imagine somebody builds a house here or a company
3 puts a building there, would they use this
4 groundwater for drinking water or for industrial
5 use?

6 Originally we thought that there wasn't
7 thick sand units in this upper portion. And it's
8 not the part of the geology in this area they
9 normally use for groundwater. But based on this
10 investigation you can see there's a pretty
11 good-sized sand unit underneath the landfills. So
12 it's likely this water in the future could be used
13 as a groundwater source. So that will make us put
14 wells in that and monitor it. And it's just
15 something to know that I think originally in the
16 other meetings you were told. And maybe there
17 wasn't that much sand in the unit. And there is
18 quite a bit. That is kind of the result of CPT.
19 We found other things, too. There's a lot of clay
20 out there. These areas that are white, we found no
21 sand. But that's some conclusion of the
22 investigation we did I think is important to
23 present as knowledge. And I'll move on. I talked
24 about...

Page 39

1 MR. RAY BOUDREAUX: Give us a little idea
2 how far down. 5 feet? 6 feet?

3 MR. BRYAN RUNDELL: It's about 15 to 20
4 feet down from the ground surface.

5 MR. RAY BOUDREAUX: 15 feet?

6 MR. BRYAN RUNDELL: Yes. I think an
7 important thing about that is Illinois EPA has
8 regulations where they designate where an aquifer
9 is a Class 1 or a Class 2. The Class 1 means that
10 that aquifer could be used as drinking water, that
11 it has enough yield that would sustain a well in
12 that unit. And it's likely that based on the
13 thickness of that sand unit or its depth that it
14 would probably be Class 1 in this investigation.

15 MR. RAY BOUDREAUX: At 20 feet?

16 MR. BRYAN RUNDELL: But it makes the risk
17 assessment adhere to more stricter standards is
18 basically what that means. And I talked about the
19 weed. We did the geophysics. It shows Landfill 1
20 and 2. And I'll show you pictures of the
21 landfills, they're basically random pits, we didn't
22 see. It looks like they... Whereas Landfills 3
23 and 4 I'll show you the diagrams. You see very
24 linear trenches. They had long basically cuts that

Page 40

1 they made into the ground surface. They put the
2 waste in there. A very systematic manner. And
3 they were probably older.

4 And then the next one was filled, the
5 next one was filled. And that is good information
6 for us because it will give us an idea where to
7 investigate. It also gives us an idea of how the
8 landfills were used historically. And stop me.
9 I'm going to go pretty quick because I agreed to
10 save time here on some information. This is just a
11 subset of the data that we have available for the
12 landfills. But when I spoke, what we did is we
13 collected these samples. This is Landfill 1. And
14 you see kind of the pink areas? That's where we
15 determined there was waste material when we did the
16 geophysics investigation.

17 And then what we did at each location, we
18 took a surface sample, a subsurface sample, we took
19 a backhoe, dug into the ground, took a subsurface
20 sample. Then if any water flowed into the trench,
21 we sampled that material, too. And what we then
22 did is we took those results and EPA, USEPA and
23 IEPA they published values where they precalculated
24 whether a certain contaminant at a certain level

RAB MEETING HELD MAY 7, 1998

Condenset™

RE: CHANUTE AIR FORCE BASE

Page 41

1 would probably pose a risk. It's called
 2 "screening." It's not (inaudible), but it's a
 3 good idea to give you an idea if there's
 4 contaminants in that area that could pose risk to
 5 the human health or environment.
 6 This shows one of the screening levels is
 7 TCLP, which is a record screening (inaudible).
 8 This shows on Landfill 1 here, you can see that we
 9 did exceed, this red area, you can't see very well,
 10 that that exceeded for lead. So at that location
 11 in surface soil we collected a sample that shows
 12 that it exceeded the TCLP risk level for lead.
 13 MR. RAY BOUDREAUX: I bet there was skeet
 14 in there.
 15 MR. BRYAN RUNDELL: Well, what's
 16 interesting... It's possible. But this is one of
 17 the furthest samples from the skeet range. So
 18 we're not sure where it came from, but it certainly
 19 exceeds the regulatory levels. It is a long ways
 20 from the skeet range. We are talking today, we
 21 have other theories about possibly where this came
 22 from. But it doesn't really matter where it came
 23 from. It exceeds TCLP levels. And I'll go through
 24 a few more of the landfills.

Page 42

1 This is Landfill 2. Again, I'm focusing
 2 here first on metals that exceeded risk levels.
 3 We've got a sample down here which is in red right
 4 there. And this is in subsurface soil. And that
 5 also exceeded TCLP level for lead.
 6 UNIDENTIFIED SPEAKER: What is TCLP?
 7 MR. BRYAN RUNDELL: TCLP is what we use
 8 to determine whether it's hazardous waste or
 9 nonhazardous waste. It's called Toxicity
 10 Characteristic (inaudible).
 11 UNIDENTIFIED SPEAKER: It basically is a
 12 calculation to show (inaudible). This is very
 13 similar to the test that we did for the lead in the
 14 playground. The leachability of the contaminants
 15 to get into the soil and get into the groundwater.
 16 MR. RAY BOUDREAUX: The groundwater.
 17 MR. BRYAN RUNDELL: Now this is a
 18 different contaminant. This is dioxins. Dioxins,
 19 there's different theories about how they form.
 20 And certainly they keep their form by incomplete
 21 combustion. Basically when you burn something, you
 22 can't destroy all of the material, the ash that is
 23 left. We know they probably did burning at these
 24 landfills. They threw the waste in the pits and

Page 43

1 burned some of the material. And we did, we took
 2 the samples that we took in surface soil for
 3 dioxins, we screened them against the IEPA level.
 4 I think... I don't think it's IEPA. I think it's
 5 EPA
 6 UNIDENTIFIED SPEAKER: Yes.
 7 MR. BRYAN RUNDELL: You can see on this
 8 one, all of these here that are in blue, yeah, in
 9 blue, those are above residential screening levels
 10 for dioxins. And that means that USEPA has
 11 determined, kind of based on what they spoke about
 12 earlier on the risk assessment, that a person who's
 13 exposed to these, using the standard residential
 14 scenario, assuming you lived on these landfills and
 15 were out there basically 350 days a year, that this
 16 is unacceptable risk. And that's what that shows.
 17 In surface soils you do have some contaminants out
 18 there right now that are probably unacceptable if a
 19 person was going to build a house on those in terms
 20 of the health effects from those.
 21 MR. RAY BOUDREAUX: And we know we can't
 22 build a house on that landfill because it's in
 23 runway visibility range, so you'd never ever have
 24 that happen as long as there was an airport here.

Page 44

1 MR. BRYAN RUNDELL: Right. But I think
 2 you do a real conservative comparison to get an
 3 idea what was out there.
 4 MR. RAY BOUDREAUX: I agree.
 5 MR. BRYAN RUNDELL: That would lead us to
 6 (inaudible). We don't want people walking on the
 7 landfills. We show here right now in the surface
 8 soil you could potentially be exposed to these
 9 contaminants.
 10 UNIDENTIFIED SPEAKER: There's been no
 11 decision yet on what the remedy will be. We're far
 12 from that right now. We're trying to get there.
 13 MR. RAY BOUDREAUX: We will have an
 14 opportunity to talk about what the land is going to
 15 be used for and those kind of things at some time
 16 when we start doing that remedy determination.
 17 Right?
 18 UNIDENTIFIED SPEAKER: Actually on all
 19 brag sites, in this case the authority would be
 20 City of Rantoul. I'm sure several years ago to the
 21 Secretary of the Air Force for approval outlining
 22 their general concept for what portions of the
 23 base, if any, you want for residential, what you
 24 want for industrial, agricultural, so on and so

RAB MEETING HELD MAY 7, 1998

CondensIt™

RE: CHANUTE AIR FORCE BASE

Page 45

Page 47

1 forth. That document, once that's approved by the
2 Secretary of the Air Force, that is the guidance
3 that the brag cleanup team uses in terms of looking
4 at the various risk scenarios. Those are the reuse
5 criteria.

6 MR. RAY BOUDREAUX: This is all
7 industrial.

8 UNIDENTIFIED SPEAKER: We're looking...
9 The reason we're looking at residential is because
10 if, in fact, it was safe for residential...

11 MR. RAY BOUDREAUX: It would be safe for
12 everybody.

13 UNIDENTIFIED SPEAKER: Then the Air Force
14 to transfer to the City, you could do whatever the
15 heck you wanted to it. If it's above residential,
16 they need to put a (inaudible) before they transfer
17 saying "No, you can't use if for residential," to
18 deal with their liability, and that also addresses
19 the City's liability.

20 UNIDENTIFIED SPEAKER: I would also point
21 out in point of fact there's more than industrial
22 activities going on. There are agricultural
23 activities now that USEPA is going to assume are
24 going to go on. There are also recreational

Page 46

1 activities going on around here.

2 MR. RAY BOUDREAUX: That's right.

3 MR. BRYAN RUNDELL: Kind of flowing with
4 that, this Landfill 4, this is dioxins. Landfill
5 4, this also is above industrial. In this case
6 above residential levels and plus then it was
7 higher than that in above industrial. So I think
8 this is the only one that had dioxins and furans
9 that we detected when we did the sampling that is
10 above commercial industrial levels. I think this
11 is the highest level that we found in dioxins and
12 furans. It's not really important concentration.
13 Basically once it's above the screening level, you
14 know, you would in the, our report preparation, you
15 do a full risk assessment. You consider this
16 information.

17 But at this point we're trying to present
18 the data just to show that there is stuff out there
19 above published values that IEPA developed.

20 MR. RAY BOUDREAUX: What do those come
21 from?

22 MR. BRYAN RUNDELL: This one, dioxins,
23 like I said. There's some theories about how it's
24 formed. It's probably incomplete combustion.

1 Probably burning.

2 UNIDENTIFIED SPEAKER: Plastics, like the
3 plastic that have the ordinary compounds of the
4 chlorine in them, you know, chlorinated solvents,
5 things of that. You burn them, and generally
6 you're going to get a dioxin.

7 UNIDENTIFIED SPEAKER: What about the
8 furans? Same thing?

9 UNIDENTIFIED SPEAKER: It's having the
10 chlorine there and doing the burning activities at
11 lower temperatures. If you do it in an incinerator
12 at 2,000 degrees, you don't have that formulation
13 that you have when you are just doing it out in the
14 open, open burning.

15 UNIDENTIFIED SPEAKER: You say this is
16 Landfill 4?

17 MR. BRYAN RUNDELL: Yes.

18 UNIDENTIFIED SPEAKER: Where would that
19 be?

20 MR. RAY BOUDREAUX: All the way on the
21 southeast corner. Way, way out on the southeast
22 corner, the intersection of...

23 UNIDENTIFIED SPEAKER: (inaudible).

24 MR. RAY BOUDREAUX: See that black spot

Page 48

1 on the top center? That's J. B. Hunt's old
2 building.

3 UNIDENTIFIED SPEAKER: So this is...

4 MR. RAY BOUDREAUX: The Gordon, all that
5 wide space. If you look there on the west where it
6 says "A" and "B," that's where the Art Gordon plats
7 were.

8 MR. BRYAN RUNDELL: Landfill 4 is over
9 here. It's over here. It says "A13." It's kind
10 of in the corner of the base. I'll throw a few
11 more of these up here.

12 MR. RAY BOUDREAUX: Is that stuff all
13 going to the library now, so I can check it off?

14 MR. BRYAN RUNDELL: This information?
15 Not yet. But I'm sure it will.

16 MR. VIRLON SUITS: What was the
17 question?

18 MR. RAY BOUDREAUX: Is it going to the
19 library?

20 UNIDENTIFIED SPEAKER: It's not in a
21 published final document.

22 UNIDENTIFIED SPEAKER: It's also not in
23 the form that the regulators have reviewed. You're
24 seeing it almost right after we're seeing it.

RAB MEETING HELD MAY 7, 1998

Condensat™

RE: CHANUTE AIR FORCE BASE

Page 49

1 UNIDENTIFIED SPEAKER: I saw it before
 2 Gary. This is the first time I saw it, today.
 3 So...
 4 MR. BRYAN RUNDELL: This is... I wanted
 5 to show this one. Another contaminant that we
 6 detected in surface soils, it's actually a group of
 7 contaminant pH's. It stands for (inaudible). If
 8 you have diesel fuel, diesel fuel is a component,
 9 or it's a liquid that has a huge amount of
 10 compounds in it. And some of them are very heavy
 11 chain, what they call them, meaning that they tend
 12 not to migrate. Basically they have a lot of
 13 hydrogen and carbon. It's really not that
 14 important.
 15 But these contaminants are typically left
 16 behind. They don't dissolve in the water very
 17 easily. They also are formed, too, we think, too,
 18 during burning possibly. And we commonly found
 19 these type of contaminants on the landfills under
 20 surface soil. Landfill 2 is a good example. You
 21 see all the red on here? These are all above our
 22 screening levels. There are a lot of different
 23 types of pH's. Some of those are known
 24 carcinogens. I'm not sure if there's any Type A.

Page 50

1 It's certainly not all these are carcinogens. Some
 2 on the list are. We did depict on most.
 3 Polyaromatic hydrocarbons. I have another slide.
 4 Landfill 4 of the same at pH's.
 5 What I'd like to do is get to the
 6 recommendations, and then if we have people who
 7 have questions. I think our recommendations
 8 are... Again, this is preliminary data. It was
 9 just collected. It has the EPA. IEPA has not
 10 reviewed it. Our intent here was just to give you
 11 an idea what we've done to this point. Since we
 12 talked to you last time we've moved quite a bit
 13 further along, collected some data. (inaudible).
 14 The report has been completed. It was a
 15 presentation for the Air Force that we did, and
 16 that's what this data came from. And based on this
 17 information, we still have a lot more work to do.
 18 When we talk about groundwater, we've got to
 19 characterize groundwater. We only did 8 test pits
 20 at each landfill. We did that quickly to collect
 21 data. There has to be more sampling done in the
 22 creek and lake. More sampling at the landfills to
 23 define basically the nature and extent of this that
 24 we detected.

Page 51

1 So certainly one of the things we
 2 recommended after we did this initial sampling
 3 effort is that we need to continue on with this
 4 program to define the contamination at the site to
 5 properly assess what is the risk of human health?
 6 What is the risk to the environment from the site?
 7 And I've got a list on here of the other activities
 8 that we will be continuing to do for the next...
 9 through the summer and certainly through the fall.
 10 We've got to install groundwater wells and sample
 11 those. We've got to sample and characterize the
 12 creek and the lake at the site.
 13 UNIDENTIFIED SPEAKER: What is OU-2?
 14 MR. BRYAN RUNDELL: OU-2 is that whole
 15 area again. OU-2 refers to this whole area right
 16 here inside there. It includes all 4 landfills.
 17 It includes all of the sites that Jeff mentioned,
 18 the 7 sites. And then it includes... Is there an
 19 8th site in there? Anyway, it includes all the
 20 sites that we're currently investigating. And then
 21 also we still have more trenching activities. We
 22 found basically where the landfills' limits are.
 23 We had to go in there and verify those are the
 24 limits of the landfill.

Page 52

1 We determined what the thickness of the
 2 waste is, what the lateral extent of the waste is.
 3 And then we also need to put some wells. Actually
 4 in the landfill we found leachate in samples. We
 5 found leachate in the samples that we dug. Water
 6 flowed into the pits. We sampled that. Some
 7 samples did exceed risk levels. The next step is
 8 to put wells in the landfill, figure out where the
 9 leachate is at, how much is there, is it flowing
 10 into groundwater, basically to determine what risk
 11 these landfills are to people who potentially could
 12 be exposed to this contamination we identified.
 13 And that's really, I think, all I've got
 14 to give to you.
 15 MR. VIRLON SUITS: Any questions of
 16 Bryan? (No response.)
 17 Excellent briefing, Bryan. I apologize a
 18 little bit to the group because the slides will
 19 appear to be technical, you know, particularly from
 20 the standpoint of terminology. I know you've been
 21 doing that. So interrupt us at any time, you know,
 22 when the technical buzzwords are in there that you
 23 don't understand.
 24 MR. RAY BOUDREAUX: Can we get a

RAB MEETING HELD MAY 7, 1998

CondenseIt™

RE: CHANUTE AIR FORCE BASE

Page 53

1 definition of "surface soil"? Is that at the
 2 surface or surface plus 12 inches or surface
 3 plus...
 4 MR. BRYAN RUNDELL: Our definition... It
 5 varies usually sometimes by project. But generally
 6 the definition is...
 7 MR. VIRLON SUITS: Surface down to
 8 6 inches. 0 to 6 inches. That is what we used on
 9 this project. So soil from the actual area we walk
 10 on down to a depth of 6 inches.
 11 MR. RAY BOUDREAUX: Good. That's all I
 12 need.
 13 MR. BRYAN RUNDELL: And then to
 14 clarify... That's a good question. Sub as far as
 15 soil is really basically anything below there that
 16 when we were digging these pits with the backhoe
 17 that we thought we should sample. If we saw an
 18 odor there... Or smelled an odor, saw a stain or
 19 saw nothing, we still took a sample, because it
 20 doesn't always mean (inaudible). The leachate
 21 samples. The pits typically were about 15 feet
 22 deep when you go down and the landfills, a
 23 backhoe. Our objective is to try to get at least
 24 down to where we encounter water.

Page 54

1 Are there other questions?
 2 UNIDENTIFIED SPEAKER: Did you just have
 3 a total that...
 4 MR. BRYAN RUNDELL: We did speciates, and
 5 I presented. I got kind of an education on dioxins
 6 at this site. Most of these were speciated. That
 7 means something to you.
 8 UNIDENTIFIED SPEAKER: That's fine. I
 9 was just wondering.
 10 UNIDENTIFIED SPEAKER: What he's saying
 11 is there are a lot of dioxin compounds. Okay? And
 12 when they say speciated, it means (inaudible). And
 13 what USEPA has done is said, "Okay, in order to do
 14 a risk assessment when you have all these dioxins,
 15 you put them into what you... into one term,
 16 'dioxin.' And then you calculate what's called
 17 the 'Toxicity Equivalency Factor' or 'Equivalence
 18 Factor,' TEF, and it ranges from 1 to .001 times
 19 for each one you multiply this factor, fudge factor
 20 ultimately." And against the toxicity that, most
 21 toxics. The most conservative toxicity value we
 22 have for dioxin, and then you use that and add
 23 those up to come up with toxicity equivalency
 24 factors.

Page 55

1 MR. RAY BOUDREAUX: That would be an
 2 interesting question. How close or how far did we
 3 enter into the danger level with the calculations
 4 that we got? In other words, if we're using the
 5 most conservative number and you have a continuum
 6 that says "This is nontoxic and this is toxic,"
 7 someplace in between there's going to be a place
 8 where you break from toxic to non someplace. Or is
 9 there?
 10 UNIDENTIFIED SPEAKER: I know it's
 11 probably... We're going to be doing... We're
 12 going to be doing what the regulations and the
 13 guidance tells us to.
 14 MR. RAY BOUDREAUX: Go through zero.
 15 UNIDENTIFIED SPEAKER: And we're not
 16 attempting to be overly conservative, but we're
 17 also wanting to protect the most sensitive
 18 individual.
 19 MR. RAY BOUDREAUX: Absolutely.
 20 UNIDENTIFIED SPEAKER: And like you said
 21 before, there's going to be a range that that
 22 number represents plus or minus.
 23 MR. RAY BOUDREAUX: Yes.
 24 UNIDENTIFIED SPEAKER: It's a number, but

Page 56

1 it can go up or down and... But probably more down
 2 than up. And we won't know what that is until the
 3 end. Right, Ray?
 4 MR. RAY BOUDREAUX: Yes. Yes. And
 5 essentially the goal of all of this is to determine
 6 what type of a cap to put on the top of these
 7 things or whether or not they have to be removed or
 8 whether or not they have to be...
 9 UNIDENTIFIED SPEAKER: We're required to
 10 put on a remedy that meets the 9 criteria on the
 11 list.
 12 MR. RAY BOUDREAUX: To spy the risk that
 13 is determined when you're finished; right?
 14 UNIDENTIFIED SPEAKER: Right.
 15 MR. RAY BOUDREAUX: Okay. Good.
 16 MR. VIRLON SUITS: Okay. Thank you,
 17 Bryan. Timewise we've blown it this evening. I
 18 hope that you can bear with us a little longer this
 19 evening. I promise not to do this to you every
 20 time. But with this we're not quite halfway
 21 through the agenda. And, Mike, you're on.
 22 MR. MIKE WILLIAMS: How much time do we
 23 have?
 24 MR. RAY BOUDREAUX: 40 seconds, plus or

RAB MEETING HELD MAY 7, 1998

CondenseIt™

RE: CHANUTE AIR FORCE BASE

Page 57

Page 59

1 minus 10.

2 MR MIKE WILLIAMS. I have 3 hours of
3 presentation material.

4 MR. VIRLON SUITS: I see that. I'm sure
5 you haven't got (inaudible). Put a slide on for
6 each one, and we'll discuss it. And perhaps it
7 will generate the questions.

8 MR. MIKE WILLIAMS: Okay. I'm Mike
9 Williams, again, with Jacobs. And I have been
10 working on the Fire Training Area 2 site primarily
11 and also on the Building 932 site. To a lesser
12 extent I will briefly mention what's going on at
13 the 747 and 700 sites.

14 The Fire Training Area 2, is everybody
15 familiar with kind of those sites? I guess maybe
16 we should... I'll show this to you. Fire Training
17 Area 2 is located right here. And this is all in
18 the OU-2, Operable Unit 2 area that Bryan was
19 talking about. Building 932 site is located here.
20 Fire Training Area 2 was used for fire training
21 practice purposes. They had a number of mock-up
22 units where they placed planes, or I'm not sure if
23 they were fake planes or actually real planes.

24 MR. RAY BOUDREAUX: Fake.

1 And so at present what we've done there
2 is we've kind of combined the two investigations to
3 a certain extent. We expedited it a little bit and
4 went in with some investigative tools. Bryan kind
5 of touched on one of them. Basically some tools to
6 punch through the ground and measure different
7 properties of the subsurface. One of the other
8 tools that he didn't talk about that we did at that
9 site that helped us quite a bit in characterizing
10 it is a tool called "ultraviolet floor resins"
11 which basically as you're punching down emits a
12 little laser, and the petroleum that's in the soil
13 causes the laser to fluoresce. And then they used
14 that as kind of a relative indication of where the
15 petroleum is at. Boom! Here it is. Boom! It's
16 gone again. And so...

17 MR. RAY BOUDREAUX: Have we started
18 pumping that stuff off there yet?

19 MR. MIKE WILLIAMS: No, we haven't.

20 MR. RAY BOUDREAUX: It would be a perfect
21 time though. The water table is very high.

22 MR. MIKE WILLIAMS: It is very high.
23 That's a problem as far as characterization
24 actually.

Page 58

Page 60

1 MR. MIKE WILLIAMS. And they practiced
2 lighting and extinguishing them. So you can
3 imagine, there was plenty of materials they used
4 for ignition. And some of those materials
5 eventually made it into the ground. And we
6 suspected that going into the investigation.
7 Building 932 was used for training purposes, for
8 refueling planes. It's basically a big concrete
9 apron that had some pumps and underground storage
10 tanks. Some of the residual or the leftover
11 material ended up in a sludge pit kind of located
12 about right here. And there was also a bladder
13 tank area.

14 So there's kind of three primary areas
15 that we looked into at that site. Okay. So
16 status, I guess I'm going to try to be extraneous
17 here a little bit. As far as free product, that
18 project was initiated a little bit to help the
19 EECA, the Engineering Evaluation Cost Analysis
20 portion of the Fire Training Area 2 site to address
21 the product or the petroleum hydrocarbons that are
22 actually existing in the soil that was suspected
23 may be floating on top of the water, the
24 groundwater.

1 MR. RAY BOUDREAUX: Sure, because it's
2 all probably floating up on the ground by now.
3 That's not very safe.

4 MR. MIKE WILLIAMS: We are in the process
5 of getting ready to pump out the drainage ditches
6 that exist there, pump them down to a level that we
7 can actually go back in there and do some
8 additional characterization.

9 Let me show you some pictures here.
10 Pictures are always better than words. Well, let
11 me back up for a minute. We did characterize Fire
12 Training Area 2 using some geophysical methods
13 which allowed us to come up with a determination of
14 some areas that we suspected would be good to
15 investigate. And this is an interpretation of that
16 where we came up with some what we call "anomalous"
17 or different than the background-type areas.

18 MR. RAY BOUDREAUX: Is that north to
19 south top to bottom?

20 MR. MIKE WILLIAMS: Yes. This is north.

21 MR. RAY BOUDREAUX: Thank you.

22 MR. MIKE WILLIAMS: And that's the Fire
23 Training Area. These are the drainage ditches that
24 are full of water. They're concrete-lined ditches

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 61

1 approximately 12 feet. And we're not sure how much
2 sediment is in them right now. We suspect anywhere
3 from 4 to 5 feet, maybe as much as 6, 7 feet of
4 sediment. Results of the geophysical study that we
5 did came up with some areas where we suspect there
6 may be some existing drainage lines. And we went
7 back to the as-built civil engineering type
8 drawings. And those line up pretty well with the
9 drawings. So these are in addition to the former
10 mock-up areas. These are also good, potentially
11 good areas to find some of the petroleum.

12 We also noted a couple of, again,
13 anomalous areas. One of them up here in particular
14 was an area where there used to be a lagoon. That
15 lagoon was removed. I'm not sure what year. Do
16 you remember what year? Well, it's out of there
17 now. But we do have a little bit of deeper
18 contamination in this area as opposed to other
19 areas.

20 MR. RAY BOUDREAUX: Anything below the
21 12-foot depth of the concrete barriers that divide
22 that off?

23 MR. MIKE WILLIAMS: We...

24 MR. RAY BOUDREAUX: Hopefully not?

Page 62

1 MR. MIKE WILLIAMS: Let me answer it this
2 way. We did detect some contamination outside of
3 the drainage ditches.

4 MR. RAY BOUDREAUX: Oh, you did? Too
5 bad.

6 MR. MIKE WILLIAMS: Inside here, we
7 didn't want to punch too deep because we also don't
8 want to send contamination down deeper than it
9 actually is. At the same time we want to fully
10 investigate it and make sure we detect everything.
11 So it's kind of a balancing act. And so in a few
12 locations in site here we did go as deep as
13 12 feet. However, right in the heart of some of
14 the most contaminated areas we only went down to 7,
15 8 feet, maybe 9 at the most. We didn't want to...

16 We had done some CPT, some of those bores
17 that Bryan talked about, on the outskirts of that
18 area where we didn't suspect any contamination to a
19 deeper depth to kind of characterize what was
20 there. As Bryan pointed out, we detected a pretty
21 significant sand unit. It was our feeling we
22 definitely didn't want to go down and penetrate
23 into that sand. So like I said, there was a little
24 bit of a balancing act kind of characterizing and

Page 63

1 protecting the environment.

2 I'll just show you one of these. I can't
3 help myself. These are some of the borings inside
4 of that area. This also kind of shows you where
5 the former mock-up areas were at. There were at
6 least five mock-up areas. We're showing seven.
7 I'm not totally convinced that these three... With
8 respect to one mock-up area (inaudible). But we
9 set up...

10 MR. RAY BOUDREAUX: There were three.

11 MR. MIKE WILLIAMS: Pardon?

12 MR. RAY BOUDREAUX: There were three. I
13 remember seeing them. There was a Jeep on this
14 little one and a helicopter.

15 MR. MIKE WILLIAMS: Oh, you do? Okay.

16 UNIDENTIFIED SPEAKER: Yes, there were
17 three.

18 UNIDENTIFIED SPEAKER: You remember
19 pulling pipes out a...

20 MR. MIKE WILLIAMS: Some of the diagrams
21 showed five. I didn't know.

22 UNIDENTIFIED SPEAKER: Those were newer
23 ones.

24 MR. RAY BOUDREAUX: One was a Jeep or

Page 64

1 truck and one was a helicopter.

2 MR. MIKE WILLIAMS: Okay. So we punched
3 some of these borings through the soil. And we
4 used that to not only characterize the subsurface
5 soil, the underlying geology, but also like I was
6 talking about, we used the ultraviolet fluorescent
7 laser to come up with zones. And that's what this
8 is right here. Basically as it's being punched
9 down, it spikes when it sees petroleum-related
10 product. And it comes back down basically when it
11 (inaudible).

12 So you can kind of follow this. You can
13 see with depth where we suspect some of the
14 petroleum is trapped in the soil. This is kind of
15 a cross section. You can see, this is plan view
16 obviously, and this is a cut right through the
17 soil. So... This yellowish color is
18 representative of the gravel that's on the
19 surface. So that's why it has kind of a different
20 color. It was interpreted by the CPT as sand, but
21 it's actually more of a gravel. And then this CL
22 material is clay primarily. At that particular
23 site you don't pick up the sand until about
24 17 1/2 feet.

RAB MEETING HELD MAY 7, 1998

CondenseIt™

RE: CHANUTE AIR FORCE BASE

Page 65

1 MR. RAY BOUDREAUX: From that... While
 2 you're trying to find your slide... From that, it
 3 looks like about 8 or 9 feet, all the stuff was
 4 above that. So...

5 MR. MIKE WILLIAMS: So we also have
 6 several of these where we just basically took our
 7 data and we sliced it and we kind of come up with
 8 areas that are... that show higher levels of
 9 contamination than the other areas. And a lot of
 10 these areas correspond pretty well to where the
 11 mock-up units were at, as you might expect.

12 Another thing we hadn't done previously,
 13 we had really no idea, was groundwater flow
 14 direction in there. We installed some temporary
 15 little wells. And we measured those to determine,
 16 you know, which way is the groundwater flowing?
 17 We'd like to know for risk purposes who might be at
 18 risk? So one thing we found is that those concrete
 19 line drainage ditches are actually causing the
 20 water inside there to mound higher than the area
 21 outside here by at least a foot or two. So we
 22 recognize that. And these are separated, these
 23 three wells lie outside of the concrete drainage
 24 ditch, and we show flow direction to the southeast

Page 66

1 basically. Salt Fork Creek is over here, by the
 2 way. Groundwater flow up here is more straight
 3 south to southwest. So there's a little bit of a
 4 difference there. This is kind of just a one shot
 5 picture. And it's a lot better if you go back and
 6 substantiate water levels or groundwater flow, you
 7 know, a few times at different seasons. Sometimes
 8 when it's...

9 MR. RAY BOUDREAUX: What depth there?

10 MR. MIKE WILLIAMS: Pardon?

11 MR. RAY BOUDREAUX: What depth there?

12 MR. MIKE WILLIAMS: When I took these, I
 13 believe inside of here we're talking about a foot
 14 or less below the ground surface. And outside of
 15 here, anywhere from 2 to 5 feet.

16 I'll try to speed this up just a little
 17 bit.

18 MR. RAY BOUDREAUX: Gary, tell him what
 19 he needs to tell us. You've seen all this. Do you
 20 know what he needs to tell?

21 MR. GARY SCHAFER: Actually I've seen
 22 portions of this today. I don't know if I've seen
 23 every slide he has.

24 UNIDENTIFIED SPEAKER: Gary, don't push

Page 67

1 it.

2 MR. GARY SCHAFER: I'm not asking.

3 UNIDENTIFIED SPEAKER: Thank you. Thank
 4 you.

5 MR. MIKE WILLIAMS: I'll throw up some
 6 analytical results.

7 In addition to doing some of the other
 8 things we described, we took soil samples obviously
 9 trying to discover if there is a risk at this
 10 site. And what we found was we detected some
 11 VOC's, volatile organic carbons. Those are the
 12 lighter-type hydrocarbons. Like Bryan mentioned,
 13 Benzene, that's one of them that we typically look
 14 at.

15 We detected TCE. That's a solvent. I
 16 think that was mentioned earlier in the
 17 presentation. We also detected the PAH's again,
 18 polycyclic or polypneumatic hydrocarbons. Several
 19 of those. And we, like Bryan and the landfill
 20 investigation, use a couple different screening
 21 criteria. We've used IEPA's screening criteria,
 22 USEPA's screening criteria. And we also did some
 23 preliminary back calculations based on risk numbers
 24 to come up with what are called "remedial

Page 68

1 objectives." Those are termed "preliminary"
 2 because we don't have the full understanding of all
 3 the, you know, all the exposure preliminary stuff
 4 that we discussed earlier. And then also we had,
 5 especially in the surface soil, several dioxins and
 6 furan detections.

7 Subsurface soil pretty much mirrored the
 8 surface soil, not quite as heavy on dioxin and
 9 furans. But many of the same were detected.

10 Okay. What I'll do now is just quickly
 11 talk about 932, Building 932, tell you what we
 12 found at 932.

13 MR. RAY BOUDREAUX: I was going to say, a
 14 summary slide would be real good about now.

15 MR. MIKE WILLIAMS: This is a challenge
 16 to summarize.

17 MR. VIRLON SUITS: I'm sorry about this.

18 MR. MIKE WILLIAMS: This is Building
 19 932. I just wanted to show you some of the areas
 20 that I was talking about. These are the bermed
 21 areas that form bladder tank areas. This is the
 22 concrete apron. That's still a concrete apron.

23 MR. RAY BOUDREAUX: It's a bus parking
 24 lot.

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 69

1 UNIDENTIFIED SPEAKER: Future bus parking
 2 lot.
 3 UNIDENTIFIED SPEAKER: I was going to
 4 say.
 5 MR. MIKE WILLIAMS: And this is basically
 6 the former Building 932. So at that site we had a
 7 number of underground storage tanks that held jet
 8 fuel for training purposes. And then over here
 9 there was a sludge pit identified. I'm not going
 10 to go through it, but we did some of the same
 11 things at Building 932 at the FTA-02 site. We
 12 didn't do the ultraviolet fluorescent, but we took
 13 soil samples in the same manner. At this
 14 particular site we came up with detections, as you
 15 might expect. DVOC's and PAH's.
 16 At the Building 932 site it was kind of
 17 interesting. We detected actually more PAH's or
 18 more different types of PAH's than we did at the
 19 Fire Training No. 2 site. And a number of those
 20 were above the screening levels that I talked about
 21 for the Fire Training Area 2 site. Okay. Let's
 22 see. All right. Skipping through hundreds of
 23 hours of work...
 24 MR. VIRLON SUITS: This is what's so

Page 70

1 unfair to these guys. You can tell what he was
 2 saying a while ago when he said "I'm sorry, Jim."
 3 I know exactly what he's saying. He has got all
 4 this stuff, and it's pretty. I mean it's good
 5 stuff. It's pretty and it's colorful and
 6 everything, and they're aching to just show all of
 7 this.
 8 MR. RAY BOUDREAUX: What we should do is
 9 one of these at a time. I can tell you right now,
 10 you go much over an hour in any meeting, you lose
 11 them.
 12 MR. MIKE WILLIAMS: You do. You do. I
 13 agree.
 14 So we're into the conclusion section.
 15 UNIDENTIFIED SPEAKER: Would it be the
 16 preference of the group then to save this?
 17 MR. RAY BOUDREAUX: Let's get the
 18 conclusions. I think that's important.
 19 MR. MIKE WILLIAMS: Okay, I'll go through
 20 them as quickly as possible here. We detected a
 21 number of geophysical anomalies. We think we have
 22 a good handle on what a lot of those are. There
 23 are a few of them that we're going to need to
 24 continue and investigate. We have a good handle on

Page 71

1 where the jet fuel petroleum-type contamination
 2 exists in the soil at the Fire Training Area based
 3 on the analytical sampling and based on the
 4 ultraviolet fluorescence technique that we used.
 5 Okay.
 6 We have a better handle on groundwater
 7 flow. Although I would say that another, at least
 8 another round is needed to substantiate what I
 9 showed. And then primary contaminants detected at
 10 both sites, some volatile organics, some of the
 11 PAH's that we talked about, and dioxins and
 12 furans.
 13 So based on this, some type of removal
 14 and/or remediation is going to be needed at both
 15 sites. Not, you know, to abide by not only
 16 regulations that are in place, but also to address
 17 human health and ecological risks. And for
 18 purposes of transferring the property to the
 19 Village of Rantoul.
 20 That's basically it. We have
 21 recommendations on additional sampling. That will
 22 be done. Basically we're just going to fill in
 23 some of the data gaps. We went through a little
 24 bit of an expedited sampling effort. And there are

Page 72

1 areas where we feel like we need to go back in and
 2 just clarify a few things.
 3 MR. RAY BOUDREAUX: Did you do any
 4 borings through the concrete in the bus parking lot
 5 there?
 6 MR. MIKE WILLIAMS: Pardon?
 7 MR. RAY BOUDREAUX: Did you bore through
 8 the concrete at all?
 9 MR. MIKE WILLIAMS: Yes, we did.
 10 MR. RAY BOUDREAUX: Did you replace that
 11 back in there or put something to...
 12 MR. MIKE WILLIAMS: Asphalt patch, I
 13 believe.
 14 MR. RAY BOUDREAUX: Just so that there's
 15 something to repair the concrete.
 16 MR. VIRLON SUITS: 747. Any questions of
 17 him at this point? (No response.)
 18 Okay, you've got the 747.
 19 MR. MIKE WILLIAMS: I do apologize for
 20 taking up so much time.
 21 MR. VIRLON SUITS: 747 is not
 22 inoperable.
 23 MR. RAY BOUDREAUX: They know where that
 24 is.

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 73

Page 75

1 MR. VIRLON SUITS: Does everybody?
 2 Okay.
 3 UNIDENTIFIED SPEAKER: I don't. Oh.
 4 MR. RAY BOUDREAUX: You couldn't even fit
 5 the landing gear in there.
 6 MR. MIKE WILLIAMS: Okay. Basically
 7 what's going on at 747 is that we are in an
 8 investigative-type process to find out there's been
 9 some TCE detected. TCE is a solvent. It's
 10 probably one of the most common solvents used in
 11 the industry.
 12 MR. RAY BOUDREAUX: PD680 in the Air
 13 Force.
 14 MR. MIKE WILLIAMS: Is that what it is?
 15 And so in this process right now we've
 16 prepared a draft work plan. We've also... And
 17 that was given to the Air Force. The Air Force had
 18 some comments. And we just recently submitted a,
 19 what we're calling a "Draft Final Work Plan" to the
 20 agencies. That was actually sent out on May 5th.
 21 That's wrong.
 22 Really that's pretty much it. I mean in
 23 that work plan we have, you know, we've identified
 24 where we need to take some groundwater samples,

1 expected to see the chlorinated solvents associated
 2 with the underground storage tank that had been
 3 pulled. Therefore, there must have been a tank
 4 other than the tank for these chlorinated
 5 solvents. And that's what we're trying to find
 6 right now. There must have been a source
 7 detector.
 8 UNIDENTIFIED SPEAKER: I think that's
 9 what they've done, (inaudible).
 10 MR. MIKE WILLIAMS: Do you want me to
 11 talk about 700?
 12 MR. VIRLON SUITS: Go ahead. It's the
 13 old base filling station. Does that help? Okay.
 14 MR. MIKE WILLIAMS: Okay. Building 700,
 15 as you know, there's been remediation system pump
 16 and treat-type system that's been in place. It's
 17 currently been shut down since, as you can see,
 18 since January 27th. We submitted a preliminary
 19 Tier 2 evaluation. And what that is is using
 20 Illinois EPA's system, you can either go... You
 21 can either look at their numbers, their Tier 1
 22 numbers which are basically screening numbers and
 23 compare that to the analytical values that you're
 24 getting and say "We're above" or "We're below" and

Page 74

Page 76

1 where we need to take some soil samples and what
 2 parameters we need to analyze for basically to
 3 determine again if there's a risk at this site,
 4 then what needs to be done.
 5 UNIDENTIFIED SPEAKER: The building and
 6 how much area around the building, are you
 7 considering that?
 8 MR. RAY BOUDREAUX: It's not a very good
 9 site.
 10 UNIDENTIFIED SPEAKER: What happened to
 11 this site was it was an underground water tank
 12 closure. When they sampled the monitoring wells
 13 around the underground storage tank, they detected
 14 chlorinated solvents. We had some problems or
 15 questions about the data from the old contractor.
 16 So Jacobs came in, tested it again. They were
 17 there again. So it's not a fallacy. So what we're
 18 trying to do is they found... We found something
 19 in groundwater that exceeds state groundwater
 20 standards. So we're kind of working backward to
 21 find out where it came from.
 22 UNIDENTIFIED SPEAKER: I guess I
 23 would add the fact that that's a chlorinated
 24 solvent, is a bit of a spray. We wouldn't have

1 then make decisions. You can go a step further and
 2 do what's called a Tier 2 evaluation, kind of like
 3 risk assessment, where you take site specific
 4 numbers to come up with maybe a better idea of
 5 what's going on there and maybe a better number.
 6 And that kind of is a rough nutshell, I guess, is
 7 what that report is that was submitted on
 8 April 14th.
 9 MR. RAY BOUDREAUX: What did it say? Say
 10 it's good, clean, or needs more or what?
 11 MR. MIKE WILLIAMS: It says that, well, I
 12 don't know if I want to say that it's clean. I
 13 guess it depends on a number of factors that...
 14 Well, there are a few other things that have to be
 15 addressed, I guess. We have to determine... Well,
 16 we have to do some additional sampling to determine
 17 a few other things before we can actually say
 18 that. That's kind of why we're calling it a
 19 preliminary Tier 2 evaluation.
 20 MR. RAY BOUDREAUX: That's why I asked
 21 the question.
 22 MR. MIKE WILLIAMS: Maybe I'll ask for
 23 your help on this.
 24 UNIDENTIFIED SPEAKER: Basically what

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 77

Page 79

1 we've submitted is a plan to make the Tier 2
2 determination. And the Tier 2 determination would,
3 in effect, be, is the calculated value that comes
4 up with the Tier 2, have we shown that the
5 remediation system has drawn the contaminant values
6 to something below that? And that remains to be
7 seen, whether we have succeeded or not.

8 MR. VIRLON SUITS: We don't have a slide
9 on 952. The 952 attenuation report has been with
10 the State. What will be happening there is the
11 State will be issuing a letter to us, the FPCA. I
12 need to get that letter recorded like we would get
13 a deed recorded. And I've checked with the County
14 Recorder's Office, and they will be receiving, they
15 will be receiving that from me and recording it at
16 the time that I bring it to them.

17 Yes, Gary.

18 MR. GARY SCHAFER: It might be useful if
19 you explain what it is you're having the Recorder
20 record on the deed. I'm assuming it's a use
21 restriction of some sort.

22 Steve, is that correct?

23 MR. STEPHEN NUSSBAUM: Yes. For the
24 Leaking Underground Storage Tank Program, the State

1 there said that it was... met all the objectives
2 of the Natural Attenuation Program and all the
3 buggies had eaten the right things.

4 MR. STEPHEN NUSSBAUM: What she wanted to
5 prove was natural attenuation was working. What
6 she ended up proving was we can close this site out
7 under TACCAO.

8 MR. RAY BOUDREAUX: Okay. I see. Yes.
9 There's not ever going to be anything.

10 MR. STEPHEN NUSSBAUM: Instead of running
11 off and making this a science experiment, the Air
12 Force said, "We'll just slide out," which is a good
13 thing.

14 MR. RAY BOUDREAUX: Fine. As long as the
15 EPA agrees that's fine. Yes.

16 MR. STEPHEN NUSSBAUM: But the property
17 will have a deed restriction on it.

18 MR. RAY BOUDREAUX: It says "No
19 redemption.

20 MR. STEPHEN NUSSBAUM: And no use of
21 groundwater. The issue is no use of groundwater
22 because the groundwater has levels above.

23 MR. RAY BOUDREAUX: And "groundwater"
24 meaning water within 20 feet or 30 feet of the

Page 78

Page 80

1 has adopted regulations. And the regulations we're
2 using is, and I can explain this at a later time,
3 it's Tier Approach to Cleanup Corrective Action
4 Objectives. TACCAO. And when they come in under
5 that program, they can make assumptions... This is
6 kind of using that risk assessment we talked about,
7 they can make assumptions about what exposures are
8 going to happen. And under the regulations it
9 allows them to assume that no residential exposure
10 is going to happen. But they would have to put on
11 deed restrictions, institutional controls, things
12 like that onto the deed to make sure that nobody
13 would be exposed, and then we would be less
14 conservative with the numbers that we looked at for
15 risk. Okay? So, but the letter will come out
16 without saying you're clean if you do this and you
17 have 45 days to file with the County Recorder's
18 Office. So we've kind of been sitting on this
19 until Virlon found out, yes, I can get that done in
20 45 days, so we don't have to go through and do it
21 again.

22 MR. RAY BOUDREAUX: In that particular
23 site you're saying that no residential... The last
24 lady that was here that gave the presentation out

1 surface.

2 MR. STEPHEN NUSSBAUM: Groundwater is
3 below the site, groundwater. No wells can be put
4 in.

5 MR. RAY BOUDREAUX: Well, you're not
6 allowed to drill a well in the city of Rantoul
7 without permission anyway. So that works for me.
8 And that is within the city limits.

9 MR. STEPHEN NUSSBAUM: That's pretty much
10 what we talked about.

11 MR. VIRLON SUITS: Okay. Finally, we
12 have gotten to the OU-2 update. And Jeff, will you
13 give us a fast rundown on that.

14 MR. JEFF VILMAN: All I need to say,
15 since the last meeting we've continued working on
16 our planning documents. The work plans are into
17 the agencies for review. We're starting to respond
18 to comments. And we hope to be in the field
19 collecting data by late summer/early fall if all
20 goes well. I'm done.

21 (APPLAUSE!!!)

22 MR. VIRLON SUITS: Okay. Any questions
23 of Jeff? (No response.)

24 Item No. 8, Update on Lead Fragments

RAB MEETING HELD MAY 7, 1998**Condenselt™****RE: CHANUTE AIR FORCE BASE**

Page 81

1 found in Parcel G. I don't have that much of an
 2 update for you. I have addressed this with the EPA
 3 as far as us doing some additional investigative
 4 work to see if we can more precisely or more
 5 adequately determine what the source of this may
 6 have been. I guess our feeling is that we could
 7 limit ourselves as far as the... If it ends up
 8 being a hot spot removal, for example, we could
 9 limit ourselves possibly by finding out more of
 10 what the actual material is.

11 If the actual material is solder, for
 12 example, we also find out that the particular
 13 solder that was used at that time would be
 14 consistent with that, that it would help us more
 15 adequately determine, you know, particularly areas
 16 to go down and to locate them and remove them.
 17 We're also going to go into the library here, into
 18 the museum and look for photographs, aerial
 19 photographs of the time of the construction, as
 20 many as we can find, as many as your wife can help
 21 us find, Ray.

22 MR. RAY BOUDREAUX: Yes, she will be
 23 happy to do that.

24 MR. VIRLON SUITS: And we'll go through

Page 82

1 them in detail.

2 We do have with us, we're privileged to
 3 have with us this evening Cary Ware. We had wanted
 4 him at the last meeting, and I think you were
 5 unable to make it at that point or you were out of
 6 town. I can't recall just what it was. But I
 7 think at that time I had met with a number of you
 8 and with Cathy and her husband, and we had said to
 9 you at that point, you know, there's certain
 10 services certainly available to, you know, to the
 11 people with children, if there is concern with the
 12 children. So Mr. Ware is here to address any
 13 questions. Cathy did call me. I had specifically
 14 invited her. But then she was unable to make it.
 15 I don't know if she called in. So I don't know if
 16 she would have expressed any questions she may have
 17 had to any of you. But at that point, I thank you
 18 for coming. And if you have questions of Mr. Ware,
 19 why go ahead and ask him at this time.
 20 (No response.)

21 I'll go on then to the issuance of
 22 deeds. We have not issued any of the deeds to the
 23 public bodies, such as the Village of Rantoul. We
 24 also lack three deeds to be issued to the private

Page 83

1 developers. One of these that's in the process,
 2 one thing I want to say at this point, with what we
 3 have discovered in the Operable Unit 2 and actually
 4 some of the concerns, maybe greater concerns, I
 5 would say, as far as what happens to groundwater
 6 here is that with that USEPA has taken a position
 7 that they wish to see more information and more
 8 data and more conclusions as far as which way
 9 groundwater is flowing before issuing additional
 10 (inaudible). We have faxed into their office, and
 11 Gary graciously sent back to me and said, "We need
 12 additional information."

13 I don't know at this point, Gary, if you
 14 want to expound on that some more. But at any
 15 rate, that's where we stand.

16 MR. GARY SCHAFER: I don't know how
 17 tolerant everybody is for time. I can be very
 18 southern. As Virlon said, our concern is
 19 groundwater. As you know, it's USEPA's
 20 responsibility to concur with the transfer of
 21 property from the Air Force to the private sector.
 22 We can't make that concurrence unless we know it's
 23 clean. And what's happened is the gentleman that
 24 spoke before, first of all, Mr. O'Dell talked about

Page 84

1 the sand layer. When we went into this and we
 2 started transferring property. We had some old
 3 information from previous studies we were relying
 4 very heavily on that seemed to indicate there was
 5 not a pervasive sand layer. And there's sufficient
 6 aquifer that can convey large amounts of
 7 groundwater... "Large" is a relative term
 8 ...relatively large distances.

9 Some of the work that Jacobs has done
 10 recently in discovering a sand layer has sort of
 11 given us better information. And it looks like
 12 there is a greater capability for groundwater to
 13 become contaminated and to move out of OU-2 than we
 14 had originally thought.

15 The second part of that, the concern is
 16 when Mr. Williams was talking and he put up a
 17 little chart about groundwater flow direction
 18 that's the second part of our concern. Up until
 19 now we were always assuming that groundwater in
 20 this aquifer was being controlled by the creek. In
 21 other words, the creek was the discharge point.
 22 And what we're finding, what Jacobs is finding
 23 that's not always necessarily so. So combined with
 24 some of the data we're finding with the

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 85

1 contamination, we don't feel comfortable enough
 2 where we can say to you these parcels are not
 3 contaminated by groundwater. So we feel that we
 4 have to get more information. The direction it's
 5 going, it seems like there is a greater possibility
 6 of contamination could go out of OU-2 perhaps into
 7 OU-1. We don't know right now.
 8 MR. RAY BOUDREAUX: And OU-1 is
 9 essentially the City property separates OU-2 from
 10 any property that's owned by the private sector by
 11 a long distance. But that doesn't necessarily mean
 12 that it couldn't transverse that public property.
 13 UNIDENTIFIED SPEAKER: We're talking
 14 about the aquifer then is...
 15 MR. RAY BOUDREAUX: 20 feet.
 16 UNIDENTIFIED SPEAKER: Right. It's above
 17 what we use in the city.
 18 MR. RAY BOUDREAUX: Oh, we use way, way
 19 down for drinking water.
 20 UNIDENTIFIED SPEAKER: The same.
 21 MR. RAY BOUDREAUX: But there's also
 22 problems... And they can tell you better about it
 23 ...whenever you punch through and go all the way
 24 down, then you have chances for things to flow down

Page 86

1 and flow up and do all kinds of weird things. So
 2 that's why there's reasons you have to close wells
 3 when wells have been dug. And they have to be done
 4 properly. And there was a whole bunch of them out
 5 here.
 6 MR. VIRLON SUITS: So that's where we're
 7 at.
 8 MR. GARY SCHAFER: Is there any questions
 9 about that that I can help with?
 10 UNIDENTIFIED SPEAKER: You said private
 11 developers now. Which parcels are those that
 12 you're talking about?
 13 MR. VIRLON SUITS: The church and the
 14 library.
 15 MR. RAY BOUDREAUX: And B3.
 16 MR. VIRLON SUITS: And B3.
 17 UNIDENTIFIED SPEAKER: What's that?
 18 MR. VIRLON SUITS: White Elephant.
 19 MR. RAY BOUDREAUX: And they're all owned
 20 or purchased by the same guy.
 21 UNIDENTIFIED SPEAKER: I notice you call
 22 it B3 instead of White Hall.
 23 UNIDENTIFIED SPEAKER: White Elephant.
 24 MR. VIRLON SUITS: Not really. I've

Page 87

1 still got that so (inaudible) in me. It's hard for
 2 me to get out of that mode.
 3 MR. RAY BOUDREAUX: Isn't it convenient?
 4 MR. VIRLON SUITS: I'm falling into the
 5 trap, too, going into the technical jargon.
 6 MR. RAY BOUDREAUX: Isn't it convenient
 7 that the three parcels owned by one person has not
 8 been....
 9 UNIDENTIFIED SPEAKER: Convenient for
 10 him.
 11 MR. RAY BOUDREAUX: And now all of a
 12 reason... And now all of a sudden we find a reason
 13 that he is not...
 14 MR. VIRLON SUITS: Is into the reuse.
 15 What's the latest?
 16 MR. RAY BOUDREAUX: I'm not going to say
 17 anything. It's getting too late. But I do have a
 18 question.
 19 UNIDENTIFIED SPEAKER: This is the
 20 highlight of the meeting.
 21 MR. RAY BOUDREAUX: Okay. We're talking
 22 to a guy about aviation reuse.
 23 UNIDENTIFIED SPEAKER: Aviation reuse.
 24 MR. RAY BOUDREAUX: Yes. Talking about

Page 88

1 building a 55,000 square foot addition to one of
 2 our factories. We're talking about... I'm not
 3 going to tell you who because it's all very, very
 4 hush-hush-hush. You get the latest and greatest.
 5 This is not for public release. This is all very
 6 quiet. We're also talking to a gentleman about
 7 building a 150,000 square foot warehouse. So we
 8 are just about ready to do the T hangar project.
 9 We're getting very close getting that on the
 10 street, to start construction over there.
 11 The balloon thing went off very, very
 12 well tonight. We announced a lot of new sponsors.
 13 We're working... I can't tell you who.
 14 UNIDENTIFIED SPEAKER: Different
 15 participation from what I hear.
 16 UNIDENTIFIED SPEAKER: Curt was talking
 17 150 balloonists already.
 18 MR. RAY BOUDREAUX: No more than that.
 19 All the competition division is full. 100
 20 balloonists, and 100 balloonists are there. We're
 21 installing things out back for the sewer for all
 22 the... You know, the Health Department requires if
 23 you're going to be in a trailer for a long period
 24 of time and you are washing dishes and stuff like

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 89

1 that, you have to have a sewer. So we're
2 installing a sewer out back for all of our... But
3 we're doing it neat. We're doing it with
4 volunteers. But it's interesting. And everything
5 is going along very well.

6 But I do have a question. On the RF for
7 OU-2, you said they wouldn't start until summer or
8 fall. I would prefer we get started as soon as we
9 can on that. Especially since we have
10 (inaudible)... And that RAFS included the sample
11 and all that stuff to the farmland and all the rest
12 of that stuff out there; is that right?

13 Everything. That excludes the seven sites and the
14 four landfills and the fire training pits. But
15 everything else; is that right?

16 MR. VIRLON SUITS: Well, actually these
17 will be combined into one final document, Ray.
18 They are two.

19 MR. RAY BOUDREAUX: That's what I kind of
20 thought.

21 MR. VIRLON SUITS: Well, we are treating
22 them separately because actually they're separate
23 contractors.

24 MR. RAY BOUDREAUX: I would hope that we

Page 90

1 would go to Mock 6 on this.

2 MR. STEPHEN NUSSBAUM: Here, this is
3 something that I think you really need to put on
4 the table, Virlon, with respect to we're trying to
5 get this stuff finalized, but one of the critical
6 problems, and I don't know that everybody is aware
7 of this, and maybe I shouldn't say, is the funding
8 issue. Chanute has been hanging out there for a
9 long time. There are a lot of other bases that
10 have gotten there RI's done and gotten projects
11 awarded, done remedials. They're way out of here.
12 They're shutting the doors. They're gone.
13 Chanute, because of the problems that we've had,
14 the base realignment and closure money is running
15 out. And there's a pot of money that's been set up
16 for Chanute. The problem is, we've got to get it
17 obligated at the end of this year.

18 MR. RAY BOUDREAUX: That's why I'm
19 saying, I think we're...

20 MR. STEPHEN NUSSBAUM: So what we're
21 trying to do is... I'll be honest. What my job is
22 for the citizens of Illinois...

23 MR. RAY BOUDREAUX: Is to get the money.

24 MR. STEPHEN NUSSBAUM: ...is to work with

Page 91

1 the Air Force and USEPA before it goes away, it's
2 not available for that for 6 years.

3 MR. RAY BOUDREAUX: That's right. You've
4 got it.

5 MR. STEPHEN NUSSBAUM: So what's going to
6 happen, some things have been delayed. The start
7 of the RI has been delayed trying to secure the
8 money. We spent an extra, what, 3 hours today...

9 MR. VIRLON SUITS: That's right.

10 MR. STEPHEN NUSSBAUM: ...trying to get
11 the folks at headquarters and other folks together
12 to try and get this money preserved for Chanute and
13 get it used.

14 MR. RAY BOUDREAUX: Is it time for us to
15 jump in? We do not interfere as the City of
16 Rantoul. And I do have a statement to make. I
17 think it's very important that everybody understand
18 that we understand your jobs, the jobs that you
19 have to do, and we'll cooperate fully with you to
20 get those jobs done. And we encourage you to do
21 them and to the very, very best of your ability.

22 And we appreciate what all the gentlemen do.

23 And sorry that we don't spend hours and
24 hours going over your pretty pictures. But, you

Page 92

1 know, there are ways that we can get meetings done
2 very, very quickly and see all that data if we were
3 very, very organized when we sit, when we get ready
4 to do it. And when we have to... It's nothing,
5 none of your fault, and we appreciate all the work
6 that you have done.

7 And the City of Rantoul is very, very
8 much interested in this property being as clean as
9 it possibly can be so that there's no impact to the
10 humans and to the environment. I mean that's the
11 whole goal. But we also want to see it done as
12 quickly as possible basically because we know the
13 money is running out. Because back in the early
14 days when we started this, Virlon, I don't know if
15 you remember, we would sit around tables and holler
16 at people because they didn't do anything. And
17 they didn't. When I first got here, they weren't
18 doing anything. And they didn't do anything for a
19 long time. And it's too bad, but there doesn't
20 seem to be any remedy, except for us to keep
21 working and working hard and trying to get it done
22 as quickly as we can.

23 Now it's time for us to jump in and get
24 the politicians where they need to be in order to

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 93

1 secure the right kind of funding that we might need
2 in order to do the projects that we deserve and
3 that we need. Then it's time for me to get the
4 Mayor to do the things that he needs to do. But I
5 sure don't want to do that if it's out of line or
6 if it's too early or if it's not the right timing
7 or any of those things.

8 But if it is, you just need to let us
9 know. Because we do not interfere other than try
10 to make sure that we all understand we are in a
11 cooperative reuse environment here. We are no
12 longer a military base. But we still want it
13 clean. So...

14 MR. VIRLON SUITS: And, Ray, we will do
15 that, you know.

16 MR. RAY BOUDREAUX: But if there's a need
17 now to get our politicians involved, we will most
18 certainly do that. And we have a very strong
19 contingent of politicians that can probably get
20 what we need. But we're not a Superfund site by
21 any means. But what are we talking about in
22 numbers? Do you need \$5 million? \$200 million? A
23 billion? How much do you need?

24 MR. STEPHEN NUSSBAUM: Well, I want to be

Page 94

1 very cautious about this. We're not saying that
2 we're going to have to spend everything or
3 whatever. But the Air Force has, the Federal
4 Government is very interesting. If you get money
5 awarded and you don't spend it by the third
6 quarter, they try to take it back and give it to
7 somebody that's going to spend it.

8 MR. RAY BOUDREAUX: Hey, I know! I've
9 been there.

10 MR. STEPHEN NUSSBAUM: And our projects
11 that come on the book... I'm sorry, Virlon. Do
12 you want to go into this?

13 MR. VIRLON SUITS: Go ahead. You're
14 doing fine.

15 MR. STEPHEN NUSSBAUM: The project on the
16 book is slated to be awarded the last quarter of
17 this fiscal year, which means not only that...
18 Christine, where's she at? She's the person that's
19 got to take all this stuff and then give it to,
20 say, Jacobs or another contractor and get a
21 contract written and awarded so that they can prove
22 that they spent the money, so that it doesn't get
23 taken away. Is that accurate, Chris?

24 MS. CHRISTINE OLGUIN: Yes.

Page 95

1 MR. RAY BOUDREAUX: She's got a warrant
2 and she can't speak. She can't speak too freely
3 because it's very, very difficult for her in her
4 position, I understand, contracting officers. And
5 I appreciate the compromising position that you're
6 in trying to answer that question.

7 MR. STEPHEN NUSSBAUM: But, see, we're
8 all trying to get all these things done in a short
9 period of time.

10 MR. RAY BOUDREAUX: And all these people
11 understand that. And if you need for us... I mean
12 every person here, Lorraine understands that. She
13 was the head guy's secretary. She understands all
14 this stuff and how you have to spend money. So you
15 don't have to explain. All you have to do is tell
16 us when you want us to jump in and start getting
17 the work done. Okay? Because don't wait too late,
18 because we can't do things overnight. But if it's
19 time for us to do things and pull some strings and
20 talk to some people, I sure know some people. The
21 Mayor has some very good contacts throughout the
22 state and throughout the government. So...

23 MR. VIRLON SUITS: Okay.

24 MR. RAY BOUDREAUX: We'd be happy to pull

Page 96

1 the strings.

2 MR. STEPHEN NUSSBAUM: It's not to
3 encourage you or discourage you, Ray. It's just
4 that so everybody knows there are push-backs
5 because we're trying to secure funding. The start
6 of the RI did get pushed back because we're trying
7 to secure funding. That's a fact. But we have
8 data that we think we're trying to use to lock the
9 funding up. So...

10 MR. VIRLON SUITS: And some of what was
11 briefed relative to the levels.

12 MR. RAY BOUDREAUX: Oh, that's been
13 forwarded up. So somebody has got it.

14 MR. VIRLON SUITS: Yes, my
15 understanding.

16 MR. RAY BOUDREAUX: Doesn't FC have a
17 method of getting funding?

18 MR. VIRLON SUITS: The funding is, we get
19 the funding, AFBCA gets the funding. We get it to
20 AFCEE, and then the AFCEE does the contracting.
21 Okay.

22 MR. RAY BOUDREAUX: So you're getting it
23 through closure accounts. That's even worse.

24 MR. VIRLON SUITS: The brag closure.

RAB MEETING HELD MAY 7, 1998

Condenselt™

RE: CHANUTE AIR FORCE BASE

Page 97

Page 99

1 Lorraine.

2 MS. LORRAINE WIRGES: Off the record.
 3 (Whereupon a brief discussion
 4 was held off the record.)

5 MR. VIRLON SUITS: Open discussion? If
 6 there's no open discussion, we're done.

7 UNIDENTIFIED SPEAKER: If the funds run
 8 out, then you wait for another 6 years; is that
 9 what you're saying?

10 MR. VIRLON SUITS: No. It does look
 11 bleak.

12 MR. STEPHEN NUSSBAUM: After this fiscal
 13 year, the money, the budget is dramatically
 14 reduced. And they may even have to be put in to
 15 fund it with regular Army installations and the
 16 (inaudible). So they don't get special attention.

17 MS. LORRAINE WIRGES: And you have more
 18 base closures coming up, so you're going to be in
 19 trouble.

20 MR. VIRLON SUITS: That's why we were in
 21 there, the middle of the record.

22 MR. GARY SCHAFER: I would say, Jackie,
 23 your point to me, I think that was for USBCA to
 24 offer its observation on this. We are aware that

1 Superfund national priorities list sites, those go
 2 to the front of the line because it becomes an
 3 enforcement issue for the military. If they don't
 4 clean it up, then the regulators start extracting
 5 penalties over time. So obviously there is, you
 6 know, in terms of prioritizing things, the
 7 Superfund sites get the top priority. Chanute Air
 8 Force Base is not a Superfund site.

9 UNIDENTIFIED SPEAKER: And so much work
 10 has been done already that it just gets less and
 11 less on the list.

12 MR. RAY BOUDREAUX: And the same thing is
 13 true on Superfund sites. There's been a lot of
 14 work, a lot of investigation, a lot of remediation,
 15 a lot of characterization, a lot of stuff to design
 16 remediation. It's very, very, very costly.

17 Okay. We're done, I think.

18 MR. VIRLON SUITS: Anything else? (No
 19 response.) Thank you.

20 (Which were all of the
 21 proceedings held before the
 22 Restoration Advisory Board
 23 this date, said meeting being
 24 adjourned at 9:07 p.m.)

Page 98

Page 100

1 brag accounts are dwindling. We are doing
 2 everything we can to strongly encourage the Air
 3 Force to obligate this money for Chanute Air Force
 4 Base as soon as possible. If the brag accounts...
 5 If this money is not obligated and this goes into
 6 DERA, like Steve said, you know, the brag accounts
 7 come to an end, there could be a long wait. We
 8 don't want to see that happen. We are doing
 9 everything we can to encourage the Air Force to get
 10 this money now. So there are some decisions that I
 11 think are pending that are being discussed at
 12 fairly high levels as we speak.

13 MR. VIRLON SUITS: There is Defense
 14 Environmental Restoration Account.

15 MR. STEPHEN NUSSBAUM: It's where all the
 16 installations get their money, not just special
 17 brag funds.

18 MR. RAY BOUDREAUX: Then is when they
 19 decide who has the highest risk, who has the
 20 greatest need? And so now you fall into... You
 21 get racked up. So you may be way down at the
 22 bottom of the rack.

23 MR. GARY SCHAFER: That's exactly right.
 24 What happens with DERA is the sites that are the

1 STATE OF ILLINOIS }
 2 COUNTY OF MACON } SS

3

4

5

CERTIFICATE OF REPORTER

6 I, MARLA K. DARSHAM, Certified Shorthand
 Reporter and Notary Public in and for the County of
 7 Macon, State of Illinois, do hereby certify that I
 8 reported in shorthand the proceedings had on the
 9 hearing of the aforementioned cause on the 7th day
 of May, A.D. 1998, before the Restoration Advisory
 Board

10 I do further certify that the foregoing
 99 pages are a true and correct transcript of my
 11 shorthand notes so taken as aforesaid and contain
 12 all of the proceedings directed by the Restoration
 Advisory Board

13 I do further certify that I have no
 14 interest in the outcome of this action.

15 Given under my hand and seal this 4th day
 of June, A.D. 1998, at Decatur, Illinois.

16 AFFIRMATIVE REPORTING COMPANY

17 By.

18

19

20 MARLA K. DARSHAM, CSR
 and Notary Public

21

22

23

24

RAB MEETING HELD MAY 7, 1998

Condenselt™

\$100 - Army

\$100 [1] 23:2	30,000 [2] 25:2	accidentally [1] 10:19	affects [2] 27:4	analytical [3] 67:6
\$200 [1] 93:22	25:4	Account [1] 98:14	33:3	71:3 75:23
\$5 [1] 93:22	300 [1] 21:11	accounts [4] 96:23	AFFIRMATIVE [2] 1:22 100:16	analyze [1] 74:2
'[3] 54:16 54:18	350 [3] 21:11 21:14	98:1 98:4 98:6	aforementioned [1] 100:8	animal [3] 24:8
54:20	43:15	accurate [1] 94:23	aforesaid [1] 100:11	24:14 24:17
'80s [1] 9.5	4 [1] 28:18 32:4	aching [1] 70:6	after [4] 19:13 48:24	animals [1] 23:12
'89 [1] 15:10	35:24 39:23 46:4	acronyms [2] 8:5	51:2 97:12	Anne [2] 3:8
'dioxin [1] 54:16	46:5 47:16 48:8	act [3] 14:24 62:11	again [15] 5:8	announced [1] 88:12
'Equivalence [1] 54:17	50.4 51:16 61:3	62:24	5:20 34:10 42:1	anomalies [1] 70:21
'Toxicity [1] 54:17	4-part [1] 32:1	action [4] 34:8	50:8 51:15 57:9	anomalous [2] 60:16
-932 [1] 2:18	40 [1] 56:24	36:24 78:3 100:13	59:16 61:12 67:17	61:13
.001 [1] 54:18	40's [1] 16:14	active [1] 7:15	74:3 74:16 74:17	answer [3] 21:3
0 [1] 53:8	45 [3] 16:13 78:17	activists [1] 6:17	74:22 78:21	62:1 95:6
00 [1] 1:17	78:20	activities [13] 6:11	against [4] 31:20	answering [1] 32:13
07 [1] 99:24	4th [1] 100:14	7:22 7:24 16:7	34:5 43:3 54:20	Antonio [4] 3:19
1 [1] 24:10 24:11	20:14 39:2 61:3	16:9 17:14 21:7	agencies [4] 6:8	3:21 5:13 22:4
28:18 39:9 39:9	66:15	45:22 45:23 46:1	6:15 73:20 80:17	anxious [2] 23:24
39:14 39:19 40:13	55,000 [1] 88:1	47:10 51:7 51:21	Agency [1] 6:9	24:1
41:8 54:18 75:21	5th [1] 73:20	activity [3] 11:3	agenda [5] 5:5	anyway [2] 51:19
1,000 [2] 24:13	53:8 53:10 61:3	18:10 18:18	34:8 34:14 35:23	80:7
25:1	90:1 91:2 97:8	actual [3] 53:9	56:21	anywhere [2] 61:2
1/2 [1] 64:24	62526 [1] 1:23	81:10 81:11	ago [2] 44:20 70:2	66:15
10 [6] 11:24 12:1	7 [7] 1:15 1:17	actually [21] 2:10	agree [3] 22:24 44:4	apologize [2] 52:17
16:6 25:7 25:10	20:15 34:21 51:18	5:3 14:20 15:24	70:13	72:19
57:1	61:3 62:14	44:18 49:6 52:3	agreed [1] 40:9	appear [1] 52:19
10,000 [2] 25:2	700 [3] 57:13 75:11	57:23 58:22 59:24	agrees [1] 79:15	APPLAUSE [1] 80:21
100 [3] 21:21 88:19	75:14	60:7 62:9 64:21	agricultural [3] 21:5	applied [2] 8:22
88:20	747 [5] 57:13 72:16	65:19 66:21 69:17	44:24 45:22	8:23
12 [3] 53:2 61:1	72:18 72:21 73:7	73:20 76:17 83:3	ahead [6] 5:9	applies [1] 33:18
62:13	7th [1] 100:8	89:16 89:22	18:14 28:10 75:12	appreciate [3] 91:22
12-foot [1] 61:21	8 [6] 19:21 37:19	add [4] 25:1 25:17	82:19 94:13	92:5 95:5
1478 [1] 1:22	50:19 62:15 65:3	54:22 74:23	air [33] 1:8 2:19	Approach [1] 78:3
14th [1] 76:8	80:24	addition [3] 61:9	2:22 2:24 3:6	appropriate [2] 22:5
15 [3] 39:3 39:5	800 [1] 1:23	67:7 88:1	3:12 3:15 5:20	35:3
53:21	875-1414 [1] 1:23	additional [6] 60:8	5:20 9:15 10:22	approval [1] 44:21
150 [1] 88:17	875-1472 [1] 1:24	71:21 76:16 81:3	15:6 18:18 18:22	approved [1] 45:1
150,000 [1] 88:7	8th [1] 51:19	83:9 83:12	19:9 22:23 32:7	approximately [1] 61:1
17 [1] 64:24	9 [6] 20:15 20:21	address [5] 5:6	32:13 44:21 45:2	April [1] 76:8
1949 [1] 17:2	56:10 62:15 65:3	28:3 58:20 71:16	45:13 50:15 73:12	apron [3] 58:9
1998 [3] 1:15 100:8	99:24	82:12	73:17 73:17 79:11	68:22 68:22
100:15	90 [1] 22:7	addressed [2] 76:15	83:21 91:1 94:3	aquifer [5] 39:8
2 [28] 19:22 20:6	932 [10] 57:11 57:19	81:2	98:2 98:3 98:9	39:10 84:6 84:20
21:12 21:15 21:19	58:7 68:11 68:11	addresses [1] 45:18	99:7	85:14
22:4 34:11 39:9	68:12 68:19 69:6	adequately [2] 81:5	airport [1] 43:24	area [27] 9:24 34:19
39:20 42:1 49:20	69:11 69:16	81:15	allocate [1] 28:2	37:15 38:8 41:4
57:10 57:14 57:17	95 [1] 22:7	adhere [1] 39:17	allocated [1] 30:6	41:9 51:15 51:15
57:18 57:20 58:20	952 [2] 77:9 77:9	adjourned [1] 99:24	allowed [5] 8:13	53:9 57:10 57:14
60:12 66:15 69:19	99 [1] 100:10	adopted [1] 78:1	26:7 27:18 60:13	57:17 57:18 57:20
69:21 75:19 76:2	A13 [1] 48:9	adult [1] 10:14	80:6	58:13 58:20 60:12
76:19 77:1 77:2	abide [1] 71:15	adults [1] 21:20	allows [1] 78:9	60:23 61:14 61:18
77:4 83:3	ability [1] 91:21	adverse [5] 8:18	almost [1] 48:24	62:18 63:4 63:8
2,000 [1] 47:12	able [2] 5:6 15:20	8:18 8:19 8:21	along [3] 34:13	65:20 69:21 71:2
20 [4] 39:3 39:15	above [16] 13:21	advisory [7] 1:7	50:13 89:5	74:6
79:24 85:15	36:20 43:9 45:15	7:16 8:13 31:17	always [7] 2:9	arcas [24] 9:22
200 [1] 21:20	46:5 46:6 46:7	99:22 100:8 100:12	34:1 34:2 53:20	34:15 37:17 38:20
217 [2] 1:23 1:24	46:10 46:13 46:19	aerial [2] 16:10	60:10 84:19 84:23	40:14 58:14 60:14
250 [1] 19:22	49:21 65:4 69:20	81:18	among [1] 23:6	60:17 61:5 61:10
27th [1] 75:18	75:24 79:22 85:16	AFBCA [1] 96:19	amount [5] 9:17	61:11 61:13 61:19
3 [4] 20:14 39:22	Absolutely [1] 55:19	AFCEE [6] 3:11	9:21 24:19 37:22	62:14 63:5 63:6
57:2 91:8	Academy [2] 9:3	3:14 3:18 3:23	49:9	65:8 65:9 65:10
30 [4] 16:6 19:3	13:9	96:20 96:20	amounts [1] 84:6	68:19 68:21 68:21
20:12 79:24	access [1] 37:1	affect [4] 20:5	analogy [1] 15:21	72:1 81:15
	accident [1] 10:21	26:22 27:3 30:6	analysis [3] 11:15	Army [1] 97:15
			15:21 58:19	

RAB MEETING HELD MAY 7, 1998

Condenselt™

around - certain

around [10] 6:21	32:2 32:5 60:7	besides [1] 35:22	68:13 68:23 70:8	49:18
7.8 12:4 16:19	60:11 61:7 64:10	best [4] 13:10 16:20	70:17 72:3 72:7	bus [3] 68:23 69:1
17:22 31:6 46:1	66:5 67:23 72:1	18:1 91:21	72:10 72:14 72:23	72:4
74:6 74:13 92:15	72:11 83:11 88:21	bet [2] 18:1 41:13	73:4 73:12 74:8	business [3] 19:20
arrive [2] 24:14	89:2 92:13 94:6	better [10] 15:19	76:9 76:20 78:22	24:18 31:7
25:10	96:6	15:23 30:14 60:10	79:8 79:14 79:18	busy [2] 18:14 20:22
Art [1] 48:6	background [1] 28:14	66:5 71:6 76:4	79:23 80:5 81:22	buzzwords [1] 52:22
as-built [1] 61:7	background-type [1] 60:17	76:5 84:11 85:22	85:8 85:15 85:18	calculate [3] 11:16
ash [1] 42:22	backhoe [4] 18:2	between [5] 5:3	85:21 86:15 86:19	11:18 54:16
Asphalt [1] 72:12	40:19 53:16 53:23	23:6 25:1 37:9	87:3 87:6 87:11	calculated [1] 77:3
assess [1] 51:5	backward [1] 74:20	55:7	87:16 87:21 87:24	calculation [3] 21:8
assessment [38] 5:1	bad [3] 14:16 62:5	big [3] 8:6 8:7	88:18 89:19 89:24	21:14 42:12
5:14 5:24 6:4	92:19	58:8	90:18 90:23 91:3	calculations [2] 55:3 67:23
6:11 6:22 7:6	balancing [2] 62:11	bigger [1] 20:13	91:14 93:16 94:8	California [1] 15:7
8:3 10:16 11:6	62:24	billion [1] 93:23	95:1 95:10 95:24	call [5] 5:9 49:11
11:9 11:12 12:18	balloon [1] 88:11	bit [14] 23:9 38:18	96:12 96:16 96:22	60:16 82:13 86:21
12:18 13:7 13:12	balloonists [3] 88:17	50:12 52:18 58:17	boxes [1] 32:4	called [9] 4:2
13:15 13:15 13:18	88:20 88:20	58:18 59:3 59:9	Brady [2] 3:10	9:6 41:1 42:9
18:13 22:10 22:13	Barb [1] 4:17	61:17 62:24 66:3	3:10	54:16 59:10 67:24
23:9 25:14 25:19	barriers [1] 61:21	66:17 71:24 74:24	brag [10] 7:15 20:24	76:2 82:15
27:19 29:3 30:7	base [23] 1:8 2:19	black [1] 47:24	30:3 44:19 45:3	calling [2] 73:19
31:1 31:7 33:18	2:22 2:24 3:6	bladder [2] 58:12	96:24 98:1 98:4	76:18
37:23 39:17 43:12	3:12 3:15 5:20	68:21	98:6 98:17	came [11] 2:5
46:15 54:14 76:3	7:23 9:15 15:6	bleak [1] 97:11	break [1] 55:8	9:5 41:18 41:21
78:6	16:3 17:10 20:24	blown [1] 56:17	breathe [1] 20:9	41:22 50:16 60:16
assessments [7] 6:12	23:17 44:23 48:10	blue [3] 16:19 43:8	brief [1] 97:3	61:5 69:14 74:16
7:7 9:5 9:8	75:13 90:14 93:12	43:9	briefed [1] 96:11	74:21
9:12 10:17 20:16	97:18 98:4 99:8	Board [5] 1:7	briefing [1] 52:17	Canada [1] 13:11
Assessor [1] 27:22	based [13] 14:5	8:13 99:22 100:9	briefly [3] 6:20	cancer [11] 26:15
Assessor's [1] 27:22	17:14 17:19 22:18	100:12	13:14 57:12	26:20 26:23 27:16
associated [1] 75:1	26:24 38:9 39:12	Boards [1] 7:17	bring [2] 35:8 77:16	28:11 28:12 28:14
assume [5] 15:5	43:11 50:16 67:23	bodies [1] 82:23	brought [2] 5:12	28:16 28:17 28:19
21:10 37:24 45:23	71:2 71:3 71:13	body [2] 33:2 33:6	28:12	28:20
78:9	baseline [6] 6:12	book [6] 9:6 9:6	Bryan [33] 3:1	cancer-causing [2] 23:7 26:15
assuming [4] 21:14	11:6 11:8 11:12	9:11 16:22 94:11	3:1 36:2 36:3	cap [1] 56:6
43:14 77:20 84:19	11:19 12:18	94:16	36:5 39:3 39:6	capability [1] 84:12
assumptions [7] 11:18 14:4 14:5	bases [4] 7:15	books [1] 16:21	39:16 41:15 42:7	capture [1] 18:15
20:7 23:8 78:5	7:15 7:15 90:9	Boom [2] 59:15	42:17 43:7 44:1	carbon [1] 49:13
78:7	basic [1] 8:16	59:15	44:5 46:3 46:22	carbons [1] 67:11
attempting [1] 55:16	basically [30] 5:15	bore [1] 72:7	47:17 48:8 48:14	carcinogens [2] 49:24
attention [2] 32:5	9:12 36:13 39:18	bores [1] 62:16	49:4 51:14 52:16	50:1
97:16	39:21 39:24 42:11	borings [3] 63:3	52:17 53:4 53:13	care [1] 19:23
attenuation [3] 77:9	42:21 43:15 46:13	64:3 72:4	54:4 56:17 57:18	Cary [3] 4:6 4:6
79:2 79:5	49:12 50:23 51:22	borrowed [1] 7:4	59:4 62:17 62:20	82:3
August/September [1] 15:10	52:10 53:15 58:8	both [4] 5:13 8:22	67:12 67:19	case [2] 44:19 46:5
authority [1] 44:19	59:5 59:11 64:8	71:10 71:14	budget [1] 97:13	catching [2] 19:4
available [7] 6:7	64:10 65:6 66:1	bothers [1] 30:13	buggies [1] 79:3	19:12
24:20 30:12 33:2	69:5 71:20 71:22	bottom [5] 27:12	bugs [1] 8:24	Cathy [2] 82:8
40:11 82:10 91:2	73:6 74:2 75:22	27:13 32:23 60:19	build [5] 21:2 24:6	82:13
average [3] 20:13	76:24 92:12	98:22	31:8 43:19 43:22	cause [2] 26:15
20:14 20:21	bear [1] 56:18	Boudreaux [99] 2:21	building [16] 25:9	100:8
aviation [4] 1:16	become [1] 84:13	3:7 4:15 4:15	38:3 48:2 57:11	caused [1] 24:10
1:16 87:22 87:23	becomes [1] 99:2	35:13 35:19 39:1	57:19 58:7 68:11	causes [3] 28:19
awarded [4] 90:11	before [12] 1:6	39:5 39:15 41:13	68:18 69:6 69:11	33:6 59:13
94:5 94:16 94:21	9:9 34:10 45:16	42:16 43:21 44:4	69:16 74:5 74:6	causing [2] 23:8
aware [2] 90:6	49:1 55:21 76:17	44:13 45:6 45:11	75:14 88:1 88:7	65:19
97:24	83:9 83:24 91:1	46:2 46:20 47:20	buildings [1] 30:5	cautious [1] 94:1
away [3] 12:7 33:21	99:21 100:8	47:24 48:4 48:12	builds [1] 38:2	CE [2] 11:21 16:12
91:1	behind [1] 49:16	48:18 52:24 53:11	bullet [1] 32:23	center [2] 3:21
B [2] 48:1 48:6	below [7] 13:22	55:1 55:14 55:19	bunch [1] 86:4	48:1
B3 [3] 86:15 86:16	53:15 61:20 66:14	55:23 56:4 56:12	bunnies [1] 9:1	certain [6] 9:22
86:22	75:24 77:6 80:3	56:15 56:24 57:24	buried [1] 12:2	24:19 40:24 40:24
back [23] 9:5	benefit [1] 30:9	59:17 59:20 60:1	burn [2] 42:21 47:5	59:3 82:9
13:8 15:10 15:15	Benzene [3] 19:19	60:18 60:21 61:20	burned [1] 43:1	
16:4 16:14 20:16	24:21 67:13	61:24 62:4 63:10	burning [5] 42:23	
	bermed [1] 68:20	63:12 63:24 65:1	47:1 47:10 47:14	
		66:9 66:11 66:18		

RAB MEETING HELD MAY 7, 1998

Condenselt™

certainly - deer

certainly [11] 32:14 34:17 35:2 35:6 41:18 42:20 50:1 51:1 51:9 82:10 93:18	citizens [1] 90:22 city [9] 4:16 44:20 45:14 80:6 80:8 85:9 85:17 91:15 92:7	communities [1] 28:15 community [4] 7:19 8:2 30:17 35:9 company [4] 1:22 4:1 38:2 100:16 compare [1] 75:23 compared [1] 27:23 comparison [2] 27:16 44:2 competition [1] 88:19 complete [2] 33:14 33:14 completed [1] 50:14 complex [1] 33:3 component [1] 49:8 compound [2] 17:20 23:15 compounds [4] 34:5 47:3 49:10 54:11 compromising [1] 95:5 concentration [6] 9:22 9:23 10:7 20:2 22:19 46:12 concentrations [2] 14:12 18:5 concept [1] 44:22 concern [4] 82:11 83:18 84:15 84:18 concerns [3] 7:20 83:4 83:4 conclusion [3] 37:13 38:21 70:14 conclusions [2] 70:18 83:8 concrete [9] 58:8 61:21 65:18 65:23 68:22 68:22 72:4 72:8 72:15 concrete-lined [1] 60:24 concur [1] 83:20 concurrence [1] 83:22 confident [1] 15:21 connect [1] 32:14 conservative [5] 44:2 54:21 55:5 55:16 78:14 consider [1] 46:15 considering [1] 74:7 consistent [1] 81:14 constituency [1] 30:18 construction [2] 81:19 88:10 consultants [1] 32:7 contact [1] 21:23 contacts [1] 95:21 contain [1] 100:11 containment [1] 33:19 contaminant [6] 12:20 40:24 42:18	49:5 49:7 77:5 contaminants [10] 9:2 10:24 36:19 41:4 42:14 43:17 44:9 49:15 49:19 71:9 contaminated [4] 17:16 62:14 84:13 85:3 contamination [15] 14:13 18:18 19:1 28:3 28:8 51:4 52:12 61:18 62:2 62:8 62:18 65:9 71:1 85:1 85:6 context [1] 13:24 contingent [1] 93:19 continue [2] 51:3 70:24 continued [1] 80:15 continuing [1] 51:8 continuum [1] 55:5 contract [2] 18:11 94:21 contracting [3] 3:14 95:4 96:20 contractor [2] 74:15 94:20 contractors [1] 89:23 controlled [1] 84:20 controls [3] 27:3 27:5 78:11 convenient [3] 87:3 87:6 87:9 convey [1] 84:6 convinced [1] 63:7 cooperate [1] 91:19 cooperative [1] 93:11 copies [1] 2:6 copy [2] 2:3 2:6 corner [3] 47:21 47:22 48:10 corporate [1] 16:10 correct [2] 77:22 100:10 Corrective [1] 78:3 correspond [1] 65:10 cost [2] 30:9 58:19 costly [1] 99:16 County [5] 1:2 77:13 78:17 100:2 100:6 couple [5] 15:13 15:13 18:2 61:12 67:20 course [1] 35:20 cover [1] 13:5 covered [1] 34:9 CPT [5] 37:5 37:11 38:18 62:16 64:20 Craig [2] 4:4 4:4 crash [2] 17:2 17:15 crawl [1] 12:1	crazy [1] 14:18 creek [5] 50:22 51:12 66:1 84:20 84:21 criteria [5] 45:5 56:10 67:21 67:21 67:22 critical [1] 90:5 cross [1] 64:15 Crowen [4] 3:18 3:18 5:9 5:12 currently [2] 51:20 75:17 Curt [1] 88:16 curve [1] 26:16 cut [2] 31:4 64:16 cutoff [1] 10:6 cuts [1] 39:24 Dan [2] 3:10 3:10 danger [1] 55:3 DARSHAM [2] 100:6 100:20 data [32] 13:13 14:11 14:11 14:12 14:22 15:1 15:4 17:8 18:8 20:3 23:5 23:14 23:17 24:14 24:17 24:17 34:18 36:18 40:11 46:18 50:8 50:13 50:16 50:21 65:7 71:23 74:15 80:19 83:8 84:24 92:2 96:8 date [1] 99:23 day [9] 15:18 19:21 20:6 21:19 21:20 21:21 22:5 100:8 100:14 days [7] 19:22 19:24 21:11 43:15 78:17 78:20 92:14 deal [1] 45:18 Dean [3] 2:10 2:13 2:13 deaths [1] 28:18 debate [1] 27:15 Decatur [2] 1:23 100:15 December [1] 15:12 decide [1] 98:19 decision [3] 12:21 28:1 44:11 decision-making [1] 15:3 decisions [3] 29:10 76:1 98:10 deed [5] 77:13 77:20 78:11 78:12 79:17 deeds [3] 82:22 82:22 82:24 deep [3] 53:22 62:7 62:12 deeper [3] 61:17 62:8 62:19 deer [1] 19:13
--	--	--	--	---

RAB MEETING HELD MAY 7, 1998

Condenselt™

defaults - exclusive

defaults [2] 21:24	diagram [1] 37:18	done [29] 5:2	24:18 25:13 37:24	environmental [6] 4:1 4:12 8:20
22:1	diagrams [2] 39:23	18:3 30:7 36:7	43:12 67:16 68:4	28:20 29:4 98:14
Defense [1] 98:13	63:20	50:11 50:21 54:13	early [3] 13:8 92:13	EPA [25] 4:22
define [2] 50:23	died [1] 28:16	59:1 62:16 65:12	93:6	7:4 9:9 9:10
51:4	diesel [2] 49:8	71:22 74:4 75:9	easily [2] 8:8	9:11 10:1 10:4
definitely [1] 62:22	49:8	78:19 80:20 84:9	49:17	10:5 10:8 11:17
definition [3] 53:1	difference [3] 26:11	86:3 90:10 90:11	easy [2] 27:22 27:23	21:13 21:24 22:23
53:4 53:6	37:9 66:4	91:20 92:1 92:6	eat [1] 20:8	22:24 24:13 26:16
degrees [1] 47:12	different [13] 18:16	92:11 92:21 95:8	eaten [1] 79:3	27:17 32:15 36:21
delayed [2] 91:6	18:17 23:9 42:18	95:17 97:6 99:10	ecological [2] 8:24	39:7 40:22 43:5
91:7	42:19 49:22 59:6	doors [1] 90:12	71:17	50:9 79:15 81:2
Department [3] 3:2	60:17 64:19 66:7	dose [4] 23:22 23:23	educate [2] 27:9	EPA's [1] 75:20
4:7 88:22	67:20 69:18 88:14	25:2 25:11	31:19	equipment [2] 10:22
Departments [1] 6:8	difficult [1] 95:3	dots [1] 33:17	education [1] 54:5	10:23
Depending [3] 19:5	dig [1] 12:5	down [29] 2:11	educational [1] 31:18	equivalency [2] 54:17
19:6 24:8	digging [2] 12:6	8:8 15:11 18:22	EECA [1] 58:19	54:23
depends [1] 76:13	53:16	22:7 28:7 37:8	effect [14] 8:22	escaped [1] 17:3
depict [1] 50:2	dioxin [4] 47:6	39:2 39:4 42:3	23:19 23:20 23:22	especially [4] 30:3
deposited [1] 36:14	54:11 54:22 68:8	53:7 53:10 53:22	24:2 24:4 24:10	34:4 68:5 89:9
depth [7] 39:13	dioxins [12] 42:18	53:24 56:1 56:1	26:4 27:10 33:6	essentially [2] 56:5
53:10 61:21 62:19	42:18 43:3 43:10	59:11 60:6 62:8	33:10 33:13 34:2	85:9
64:13 66:9 66:11	46:4 46:8 46:11	62:14 62:22 64:9	77:3	established [1] 35:17
DERA [2] 98:6	46:22 54:5 54:14	64:10 75:17 81:16	effective [1] 28:5	establishment [1] 8:14
98:24	68:5 71:11	85:19 85:24 85:24	effects [2] 10:2	ethylene [1] 15:9
describe [1] 13:14	directed [2] 8:14	98:21	43:20	evaluate [2] 6:1
described [1] 67:8	100:11	draft [2] 73:16 73:19	effort [2] 51:3	30:2
deserve [1] 93:2	direction [4] 65:14	60:23 61:6 62:3	71:24	evaluated [2] 7:24
design [1] 99:15	65:24 84:17 85:4	65:19 65:23	either [4] 10:19	14:6
designate [1] 39:8	directly [1] 30:6	dramatically [1] 97:13	23:7 75:20 75:21	evaluation [8] 11:9
designed [1] 7:11	discharge [1] 84:21	draw [1] 26:18	Elephant [2] 86:18	13:13 13:18 29:3
destroy [1] 42:22	discourage [1] 96:3	drawings [2] 61:8	86:23	58:19 75:19 76:2
detail [2] 32:2	discover [1] 67:9	61:9	eliminated [1] 16:24	76:19
82:1	discovered [1] 83:3	drawn [1] 77:5	emergency [1] 16:24	evening [3] 56:17
detect [2] 62:2	discovering [1] 84:10	Drew [17] 3:22	emits [1] 59:11	56:19 82:3
62:10	discrete [1] 23:15	3:22 5:13 5:21	encounter [1] 53:24	eventually [1] 58:5
detected [14] 36:19	discuss [1] 57:6	5:22 6:20 12:15	encourage [4] 91:20	every [5] 15:18
46:9 49:6 50:24	discussed [2] 68:4	22:4 28:10 28:21	96:3 98:2 98:9	31:21 56:19 66:23
62:20 67:10 67:15	98:11	28:22 29:14 29:17	end [6] 13:19 29:1	95:12
67:17 68:9 69:17	discussion [4] 32:20	30:22 30:23 31:24	31:9 56:3 90:17	everybody [8] 17:11
70:20 71:9 73:9	97:3 97:5 97:6	32:6	98:7	45:12 57:14 73:1
74:13	Disease [1] 6:10	Drew's [1] 5:23	endeavor [1] 21:5	83:17 90:6 91:17
detections [2] 68:6	dishes [1] 88:24	drill [1] 80:6	ended [2] 58:11	96:4
69:14	dissolve [1] 49:16	drilling [1] 37:6	79:6	everything [9] 35:7
detector [1] 75:7	distance [1] 85:11	drink [4] 20:6	ends [1] 81:7	62:10 70:6 89:4
determination [4] 44:16 60:13 77:2	distances [1] 84:8	20:8 21:18 22:6	energy [1] 26:21	89:13 89:15 94:2
77:2	ditch [1] 65:24	drinking [3] 38:4	enforcement [1] 99:3	98:2 98:9
determine [12] 11:22	ditches [5] 60:5	39:10 85:19	engineer [8] 3:11	evolved [1] 34:4
29:7 37:11 42:8	60:23 60:24 62:3	drinks [1] 22:6	4:12 12:21 14:1	exact [1] 35:18
52:10 56:5 65:15	65:19	Drive [1] 1:16	14:8 14:15 14:16	exactly [4] 27:13
74:3 76:15 76:16	divide [3] 24:13	driving [1] 35:6	25:17	36:15 70:3 98:23
81:5 81:15	25:3 61:21	dry [1] 31:4	engineering [5] 2:14	example [3] 49:20
determined [5] 10:5	divided [1] 23:6	dug [3] 40:19 52:5	2:17 5:22 58:19	81:8 81:12
40:15 43:11 52:1	dividing [1] 25:10	86:3	61:7	exceed [3] 10:10
56:13	division [1] 88:19	duration [1] 19:15	Engineers [1] 13:20	41:9 52:7
develop [2] 6:1	DNA [3] 26:22 27:3	during [1] 49:18	enough [6] 2:6	exceeded [4] 41:10
9:4	document [4] 10:4	DVOC's [1] 69:15	2:12 35:2 36:14	41:12 42:2 42:5
developed [4] 7:12	45:1 48:21 89:17	dwelt [1] 34:9	39:11 85:1	exceeds [3] 41:19
8:1 9:11 46:19	documents [1] 80:16	dwindling [1] 98:1	enter [1] 55:3	41:23 74:19
developers [2] 83:1	doesn't [9] 12:4	each [12] 5:17 13:14	entitled [1] 7:5	excellent [2] 7:6
86:11	27:3 34:1 41:22	21:6 23:10 25:6	environment [8] 10:14 10:15 31:11	52:17
developing [1] 15:18	53:20 85:11 92:19	29:12 30:4 31:21	41:5 51:6 63:1	except [2] 28:11
Development [1] 1:16	94:22 96:16	40:17 50:20 54:19	92:10 93:11	excludes [1] 89:13
	dollar [1] 28:6	57:6		exclusive [1] 29:19
		earlier [7] 15:24		

RAB MEETING HELD MAY 7, 1998

Condenselt™

exist - greatest

exist [1] 60:6	famous [1] 33:7	firm [1] 31:8	32:11	generate [1] 57:7
existing [2] 58:22	far [12] 13:3 31:19	first [9] 12:22 16:5	forwarded [1] 96:13	generated [3] 6:4
61:6	39:2 44:11 53:14	17 9 29:10 30:9	Fothergill [2] 4:19	10:23 22:23
exists [1] 71:2	55:2 58:17 59:23	42:2 49:2 83:24	4:20	gentleman [3] 28:11
expand [1] 34:16	81:3 81:7 83:5	92:17	found [17] 16:17	83:23 88:6
expect [2] 65:11	83:8	fiscal [2] 94:17	16:18 16:18 38:19	gentlemen [1] 91:22
69:15	farmland [1] 89:11	97:12	38:20 46:11 49:18	geologist [1] 4:5
expected [2] 10:2	fast [2] 13:4 80:13	fish [4] 19:4 19:6	51:22 52:4 52:5	geology [2] 38:8
75:1	fault [1] 92:5	19:8 19:12	65:18 67:10 68:12	64:5
expedited [2] 59:3	Fax [1] 1:24	fishing [1] 19:2	74:18 74:18 78:19	geophysical [3] 60:12
71:24	faxed [1] 83:10	fit [2] 8:12 73:4	81:1	61:4 70:21
experience [1] 8:11	FC [1] 96:16	five [2] 63:6 63:21	foundation [1] 29:9	geophysics [3] 36:10
experiment [4] 23:19	feasibility [2] 12:14	flights [1] 14:7	four [2] 28:15 89:14	39:19 40:16
26:17 31:5 79:11	12:19	floating [2] 58:23	FPCA [1] 77:11	give [16] 8:10 13:21
explain [3] 77:19	Federal [3] 8:5	60:2	Fragments [1] 80:24	14:16 23:11 25:20
78:2 95:15	9:8 94:3	floor [1] 59:10	Fred [2] 4:17 4:17	29:21 32:16 36:7
expose [2] 25:7	feel [7] 5:16 22:2	flow [9] 35:7 65:13	free [2] 5:16 58:17	39:1 40:6 41:3
25:7	24:21 30:14 72:1	65:24 66:2 66:6	freely [1] 95:2	50:10 52:14 80:13
exposed [16] 9:1	85:1 85:3	71:7 84:17 85:24	frequency [1] 19:16	94:6 94:19
10:13 19:11 19:12	feeling [2] 62:21	86:1	front [3] 2:4 2:6	given [3] 73:17
19:14 19:21 20:19	81:6	flowchart [1] 12:11	99:2	84:11 100:14
22:18 33:4 33:8	feet [20] 11:24 12:1	flowed [2] 40:20	frustrated [1] 35:6	gives [2] 16:7 40:7
33:10 34:2 43:13	37:19 39:2 39:2	52:6	FTA-02 [2] 2:18	giving [1] 5:17
44:8 52:12 78:13	39:4 39:5 39:15	flowing [4] 46:3	69:11	glad [1] 32:12
exposure [21] 6:3	53:21 61:1 61:3	52:9 65:16 83:9	fudge [1] 54:19	Glenn [1] 1:22
13:14 13:18 14:12	61:3 62:13 62:15	fluoresce [1] 59:13	fuel [5] 33:17 49:8	global [1] 6:18
18:13 19:15 19:16	64:24 65:3 66:15	fluorescence [1]	49:8 69:8 71:1	glossary [1] 6:21
20:1 20:2 22:10	79:24 79:24 85:15	71:4	full [5] 6:24 46:15	goal [3] 30:13 56:5
22:12 24:9 25:16	fence [2] 34:24	fluorescent [2] 64:6	60:24 68:2 88:19	92:11
28:20 28:24 29:5	35:22	69:12	fully [2] 62:9 91:19	goals [2] 6:1 31:17
30:2 32:24 34:1	fencing [2] 35:2	Focus [1] 7:5	fund [2] 23:1 97:15	goes [9] 5:23 13:8
68:3 78:9	35:10	focusing [2] 36:12	93:1 96:5 96:7	17:21 17:22 26:12
exposures [4] 11:18	few [9] 2:19 41:24	42:1	96:9 96:17 96:18	30:19 80:20 91:1
23:14 29:24 78:7	48:10 62:11 66:7	folks [4] 6:10 16:23	96:19 96:19	98:5
expound [1] 83:14	70:23 72:2 76:14	11:11 91:11	funds [3] 6:6	gone [3] 17:10 59:16
expressed [1] 82:16	76:17	follow [3] 11:13	97:7 98:17	90:12
extent [4] 50:23	field [3] 3:11 36:16	11:14 64:12	furan [1] 68:6	good [29] 3:7
52:2 57:12 59:3	80:18	fool [1] 22:21	furans [5] 46:8	14:14 14:14 14:22
extinguishing [1] 58:2	figure [1] 52:8	foot [4] 65:21 66:13	46:12 47:8 68:9	15:1 19:24 20:1
extra [1] 91:8	file [1] 78:17	88:1 88:7	71:12	20:20 23:3 24:22
extracting [1] 99:4	fill [1] 71:22	Force [30] 1:8	furthest [1] 41:17	30:10 36:14 40:5
extraneous [1] 58:16	filled [2] 40:4	2:19 2:22 2:24	future [7] 21:7	41:3 49:20 53:11
eyes [2] 23:21 23:24	40:5	3:6 3:12 3:15	25:16 30:3 30:20	53:14 56:15 60:14
fact [7] 5:6 27:4	filling [1] 75:13	5:20 5:20 9:15	37:24 38:12 69:1	61:10 61:11 68:14
28:18 45:10 45:21	final [3] 48:21 73:19	10:22 15:6 22:24	G [1] 81:1	70:4 70:22 70:24
74:23 96:7	89:17	32:7 32:13 44:21	gaps [2] 18:8 71:23	74:8 76:10 79:12
factor [6] 25:5	finalized [1] 90:5	45:2 45:13 50:15	garden [2] 4:10	95:21
25:9 27:16 54:18	finally [3] 25:12	73:13 73:17 73:17	21:22	good-sized [1] 38:11
54:19 54:19	30:16 80:11	79:12 83:21 91:1	gardening [1] 19:12	Gordon [2] 48:4
Factor' [1] 54:17	find [12] 10:3 14:22	94:3 98:3 98:3	4:13	48:6
factories [1] 88:2	16:12 61:11 65:2	98:9 99:8	49:2 66:18	government [4] 8:5
factors [5] 24:7	73:8 74:21 75:5	forced [1] 30:22	66:21 66:24 67:2	9:9 94:4 95:22
24:7 25:10 54:24	81:12 81:20 81:21	foregoing [1] 100:10	77:17 77:18 83:11	grabs [1] 32:5
76:13	87:12	Fork [1] 66:1	83:13 83:16 86:8	graciously [1] 83:11
fairly [2] 2:5	finding [4] 81:9	form [5] 33:5 42:19	97:22 98:23	graph [2] 18:14
98:12	84:22 84:22 84:24	42:20 48:23 68:21	gas [1] 23:23	26:9
fake [2] 57:23 57:24	fine [5] 17:11 54:8	formed [2] 46:24	gathered [1] 34:17	grasp [1] 31:8
fall [4] 51:9 80:19	79:14 79:15 94:14	49:17	gave [1] 78:24	grass [5] 11:24 12:2
89:8 98:20	finish [2] 22:12	former [10] 2:23	gear [1] 73:5	12:2 21:1 21:16
fallacy [1] 74:17	33:24	3:6 3:12 3:15	general [5] 5:21	gravel [2] 64:18
fallen [1] 18:20	finished [1] 56:13	9:15 15:6 30:21	7:14 10:8 12:10	64:21
falling [1] 87:4	fire [14] 33:17 34:19	61 9 63:5 69:6	generally [4] 8:20	great [1] 15:17
falsehoods [1] 28:18	57:10 57:14 57:16	forms [1] 29:9	19:21 47:5 53:5	greater [3] 83:4
familiar [1] 57:15	57:20 57:20 58:20	formulation [1] 47:12		84:12 85:5
	60:11 60:22 69:19	forth [1] 45:1		greatest [2] 88:4
	69:21 71:2 89:14	forum [2] 32:10		98:20

RAB MEETING HELD MAY 7, 1998

Condenselt™

ground - jump

ground [9]	18:20	8:22	10:2	23:19	humans [2]	25:11	increased [1]	23:23	interrupt [2]	13:3
36:11	39:4	40:1	23:20	27:10	92:10	25:23	indicate [2]	25:23	52:21	
40:19	58:5	59:6	31:11	34:1	humidity [1]	22:8	84:4		intersection [1]	47:22
60:2	66:14		43:20	51:5	hundred [1]	17:12	indication [1]	59:14	interview [2]	6:16
groundwater [41]			88:22		hundreds [1]	69:22	individual [2]	22:18	6:17	
15:17	17:18	17:22	healthy [1]	10:13	Hunt's [1]	48:1	55:18		introduce [2]	2:11
18:9	19:1	28:5	hear [1]	88:15	husband [1]	82:8	industrial [1]	10:15	5:10	
33:8	33:9	38:1	heard [1]	28:19	hush-hush-hush [1]	88:4	18:17	19:17	introductions [1]	
38:4	38:9	38:13	hearing [1]	100:8	hydrocarbons [4]	50:3	38:4	44:24	2:9	
42:15	42:16	50:18	heart [1]	62:13	58:21	67:12	45:21	46:5	investigate [4]	40:7
50:19	51:10	52:10	heavily [1]	84:4	67:18		46:10		60:15	62:10
58:24	65:13	65:16	heavy [2]	49:10	hydrogen [1]	49:13	industry [1]	73:11	70:24	
66:2	66:6	71:6	heck [1]	45:15	idea [15]	16:7	information [29]		investigating [1]	51:20
73:24	74:19	74:19	held [4]	1:14	20:1	22:14	6:3	6:13	investigation [12]	
79:21	79:21	79:22	97:4	99:21	26:3	39:1	8:11	8:11	4:3	11:8
79:23	80:2	80:3	helicopter [2]	63:14	40:7	41:3	10:18	11:20	37:5	37:11
83:5	83:9	83:19	64:1		44:3	50:11	16:21	17:4	38:22	39:14
84:7	84:12	84:17	help [9]	30:2	76:4		23:12	23:16	58:6	67:20
84:19	85:3		58:18	63:3	identified [8]	10:17	24:19	32:16	investigations [2]	
group [6]	5:1	49:6	76:23	81:14	12:16	12:17	36:8	40:5	36:17	59:2
6:22	8:15		86:9		22:9	52:12	46:16	48:14	investigative [2]	
52:18	70:16		helped [1]	59:9	73:23		83:7	83:12	59:4	81:3
groups [1]	7:16		helps [1]	29:7	IEPA [6]	36:21	84:11	85:4	investigative-type [1]	
growing [1]	12:3		Here's's [1]	18:23	40:23	43:3	ingest [2]	21:19	73:8	
guess [11]	2:10		hereby [1]	100:7	46:19	50:9	21:20		invited [2]	7:13
5:3	5:8	34:22	Hey [1]	94:8	IEPA's [1]	67:21	inherently [1]	8:19	82:14	
57:15	58:16	74:22	high [7]	9:22	ignition [1]	58:4	initial [1]	51:2	involved [2]	9:10
76:6	76:13	76:15	15:11	18:4	Illinois [13]	1:1	initiated [1]	58:18	93:17	
81:6			59:22	98:12	1:17	1:23	innovative [1]	36:2	issuance [1]	82:21
guidance [2]	45:2		higher [4]	15:23	4:22	20:11	inoperable [1]	72:22	issue [4]	35:4
55:13			46:7	65:8	39:7	75:20	input [1]	25:8	90:8	99:3
guy [7]	9:7	16:12	highest [2]	46:11	100:1	100:7	inputs [1]	8:24	issued [2]	82:22
16:13	16:19	27:20	highlight [1]	87:20	100:1	100:7	inside [5]	51:16	82:24	
86:20	87:22		historical [4]	10:18	imagine [2]	38:2	62:6	63:3	issuing [2]	77:11
guy's [1]	95:13		15:8	29:22	58:3		66:13		83:9	
guys [4]	11:21	13:16	historically [1]	40:8	impact [2]	29:4	install [1]	51:10	item [3]	34:7
19:23	70:1		history [5]	7:21	92:9		installation [1]	35:11	80:24	35:24
halfway [1]	56:20		11:1	16:5	impacted [1]	17:13	installations [2]		items [2]	7:8
Hall [1]	86:22		25:24		implement [1]	6:6	97:15	98:16	34:12	
hand [5]	11:20	21:22	hit [1]	36:3	important [17]	16:11	installed [2]	35:3	J [1]	48:1
22:12	25:17	100:14	hits [1]	15:11	18:5	20:10	65:14		Jackie [1]	97:22
handle [3]	70:22		holler [1]	92:15	24:16	25:23	installing [3]	34:24	Jacobs [8]	2:14
70:24	71:6		home [1]	21:16	30:8	32:22	88:21	89:2	2:17	3:2
handout [2]	7:3		honest [1]	90:21	37:10	38:22	instances [1]	7:17	74:16	84:9
32:21			hope [5]	2:4	46:12	49:14	instead [2]	79:10	94:20	84:22
handouts [1]	5:17		56:18	80:18	91:17		86:22		Jacobs' [1]	3:5
hands [1]	31:6		Hopefully [1]	61:24	inaudible [29]	3:3	Institute [1]	3:9	Jacqueline [2]	4:19
hangar [1]	88:8		hot [1]	81:8	3:9	4:8	institutional [1]		4:19	
hanging [1]	90:8		hour [1]	70:10	17:8	18:11	instrument [1]	37:7	January [1]	75:18
hangs [1]	17:22		hours [6]	19:21	27:11	32:18	Intake [1]	21:18	jargon [1]	87:5
happening [2]	35:9		57:2	69:23	41:2	41:7	intended [1]	4:24	Jeep [2]	63:13
77:10			91:23	91:24	42:12	44:6	intent [1]	50:10	Jeff [6]	3:24
happy [2]	81:23		house [10]	5:24	47:23	49:7	interactive [1]	7:11	51:17	80:12
95:24			6:7	20:10	53:20	54:12	interest [1]	100:13	80:23	80:14
hard [5]	15:21	24:6	20:19	21:2	63:8	64:11	interested [1]	92:8	jet [2]	69:7
31:2	87:1	92:21	38:2	43:19	83:10	87:1	interesting [5]	41:16	Jim [4]	3:4
hate [1]	26:2		housing [1]	20:17	97:16		55:2	69:17	70:2	3:4
hazard [8]	9:17		huge [1]	49:9	inches [4]	53:2	94:4		job [4]	7:18
9:18	9:19	9:20	human [12]	3:21	53:8	53:8	interfere [2]	91:15	27:23	90:21
9:21	10:9	25:23	8:23	23:13	incidentally [1]	21:21	93:9		91:18	91:18
35:20			24:12	24:15	incinerator [1]	47:11	interpretation [1]		John [1]	19:2
hazardous [1]	42:8		29:3	31:10	included [1]	89:10	60:15		judgment [1]	31:10
head [1]	95:13		51:5	71:17	includes [7]	8:19	interpreted [1]	64:20	July [2]	15:15
headquarters [1]					9:7	22:5			jump [3]	91:15
91:11					51:17	51:18				92:23
health [17]	4:7				incomplete [2]	42:20				
6:9	6:11	6:15			46:24					

RAB MEETING HELD MAY 7, 1998

Condenselt™

June - mode

95:16	leachability [1] 42:14	live [6] 6:16 7:21	3:5 4:1 4:14	38:16 92:1
June [1] 100:15	leachate [4] 52:4	20:9 20:12 21:13	13:1 14:8 15:2	meets [1] 56:10
K [2] 100:6 100:20	52:5 52:9 53:20	22:14	27:20 27:23 29:9	members [3] 29:19
keep [3] 25:9 42:20	lead [9] 10:3 10:4	lived [1] 43:14	Managers [1] 11:21	29:20 30:17
92:20	10:7 41:10 41:12	livers [1] 34:3	manner [2] 40:2	membership [1]
key [1] 8:18	42:5 42:13 44:5	living [1] 30:14	69:13	31:19
kids [3] 10:13 18:21	80:24	local [1] 6:15	many [5] 11:16	memory [2] 16:11
21:19	leads [1] 36:22	locate [1] 81:16	21:11 68:9 81:20	29:24
killing [1] 19:13	Leaking [1] 77:24	located [3] 57:17	81:20	mention [1] 57:12
kinds [1] 86:1	least [4] 53:23 63:6	57:19 58:11	map [1] 37:12	mentioned [4] 25:12
knock [1] 26:22	65:21 71:7	location [2] 40:17	MARLA [2] 100:6	51:17 67:12 67:16
knowledge [3] 7:21	leave [1] 26:3	41:10	100:20	met [2] 79:1 82:7
30:17 38:23	led [1] 37:12	locations [1] 62:12	Mary [2] 3:16	metals [3] 10:24
known [2] 23:14	left [4] 11:5 22:8	lock [1] 96:8	3:16	17:23 42:2
49:23	42:23 49:15	long [1] 9:9 12:2	material [9] 40:15	method [3] 9:4
knows [2] 30:19	leftover [1] 58:10	16:19 17:22 20:9	40:21 42:22 43:1	12:22 96:17
96:4	length [2] 13:5	20:18 30:12 31:15	57:3 58:11 64:22	methodology [3]
Krone [2] 4:11	36:1	39:24 41:19 43:24	81:10 81:11	9:11 9:13 15:16
lack [1] 82:24	less [5] 20:22 66:14	79:14 85:11 88:23	materials [2] 58:3	methods [4] 11:13
lady [1] 78:24	78:13 99:10 99:11	90:9 92:19 98:7	58:4	11:14 15:18 60:12
lagoon [2] 61:14	lesser [1] 57:11	longer [2] 56:18	matter [3] 2:8	mice [1] 23:18
61:15	letter [3] 77:11 77:12	93:12	26:16 41:22	middle [1] 97:21
lake [2] 50:22 51:12	78:15	look [2] 6:12 6:19	maximum [2] 20:20	might [12] 10:10
land [4] 21:7 25:16	level [9] 12:20 40:24	9:17 10:4 10:12	25:3	12:8 15:17 19:8
30:3 44:14	41:12 42:5 43:3	16:2 16:4 16:10	may [22] 1:15 12:1	19:8 32:10 32:11
landfill [17] 16:15	46:11 46:13 55:3	16:21 17:6 18:16	14:4 14:24 15:19	65:11 65:17 69:15
39:19 40:13 41:8	60:6	19:9 19:9 19:10	15:19 16:20 17:2	77:18 93:1
42:1 43:22 46:4	levels [18] 24:2	19:15 20:23 37:17	17:23 23:20 23:21	migrate [1] 49:12
46:4 47:16 48:8	28:7 28:14 41:6	48:5 67:13 75:21	24:9 26:6 35:21	Mike [40] 2:16
49:20 50:4 50:20	41:19 41:23 42:2	81:18 97:10	58:23 61:6 73:20	2:16 2:23 56:21
51:24 52:4 52:8	43:9 46:6 46:10	looked [4] 19:13	81:5 82:16 97:14	56:22 57:2 57:8
67:19	49:22 52:7 65:8	36:11 58:15 78:14	98:21 100:8	57:8 58:1 59:19
landfills [24] 30:1	66:6 69:20 79:22	looking [6] 12:20	maybe [24] 7:21	59:22 60:4 60:20
34:13 34:18 35:24	96:11 98:12	14:20 25:8 45:3	8:14 12:8 12:12	60:22 61:23 62:1
36:12 36:13 36:20	liability [2] 45:18	45:8 45:9	15:20 17:6 17:12	62:6 63:11 63:15
37:1 37:15 38:11	45:19	looks [7] 11:6	18:1 18:6 26:13	63:20 64:2 65:5
39:21 39:22 40:8	library [4] 48:13	18:19 18:23 30:23	28:3 30:6 30:12	66:10 66:12 67:5
40:12 41:24 42:24	48:19 81:17 86:14	39:22 65:3 84:11	30:13 32:1 38:16	68:15 68:18 69:5
43 14 44:7 49:19	lie [1] 65:23	Lorraine [6] 4:9	57:15 61:3 62:15	70:12 70:19 72:6
50:22 51:16 52:11	lighter-type [1] 67:12	4:9 95:12 97:1	76:4 76:5 76:22	72:9 72:12 72:19
53:22 89:14	lighting [1] 58:2	97:2 97:17	83:4 90:7	73:6 73:14 75:10
landfills' [1] 51:22	likely [2] 38:12	lose [1] 70:10	Mayor [2] 93:4	75:14 76:11 76:22
landing [1] 73:5	39:12	lot [3] 6:23 8:7	95:21	military [5] 20:15
language [1] 8:8	limit [2] 81:7 81:9	12:5 16:17 16:23	mean [9] 17:17 26:10	20:17 20:19 93:12
large [4] 9:23 84:6	limits [3] 51:22	19:20 20:21 22:6	27:6 53:20 70:4	99:3
84:7 84:8	51:24 80:8	23:4 28:6 28:6	73:22 85:11 92:10	milligram [1] 24:11
larger [1] 30:18	line [8] 2:12 26:18	28:10 31:2 38:19	95:11	milligrams [2] 21:20
laser [3] 59:12 59:13	27:12 27:13 61:8	49:12 49:22 50:17	meaning [2] 49:11	21:21
64:7	65:19 93:5 99:2	54:11 65:9 66:5	79:24	million [3] 23:2
last [14] 4:24 7:13	linear [2] 13:17	68:24 69:2 70:22	means [10] 5:15	93:22 93:22
19:3 29:13 29:15	39:24	72:4 88:12 90:9	31:3 37:21 39:9	mine [1] 18:11
36:4 36:6 36:8	lines [3] 34:13 35:18	99:13 99:14 99:14	39:18 43:10 54:7	minimum [1] 25:3
37:4 50:12 78:23	61:6	99:15 99:15	54:12 93:21 94:17	minus [2] 55:22
80:15 82:4 94:16	liquid [1] 49:9	lots [2] 8:5 16:18	measure [3] 15:16	57:1
lastly [2] 7:3	list [8] 17:12 17:13	love [1] 13:20	23:22 59:6	minute [1] 60:11
late [3] 80:19 87:17	29:20 50:2 51:7	low [5] 9:23 15:12	measured [2] 24:1	mirrored [1] 68:7
95:17	56:11 99:1 99:11	28:7 28:23 28:24	65:15	misleading [1] 27:6
later [1] 78:2	liters [3] 20:6 21:19	lower [3] 10:7	measures [1] 37:7	mitigate [1] 11:23
lateral [1] 52:2	22:4	15:24 47:11	measuring [1] 15:24	mitigated [1] 11:24
latest [2] 87:15	little [19] 9:6	Macon [2] 100:2	mechanism [1] 27:5	mixture [1] 23:15
88:4	12:4 23:9 24:22	100:7	media [3] 17:16	mobilized [1] 18:11
lay [1] 8:4	39:1 52:18 56:18	made-up [1] 15:4	17:17 18:16	Mock [1] 90:1
layer [3] 84:1 84:5	58:17 58:18 59:3	mail [2] 5:4 5:4	medicine [1] 29:7	mock-up [6] 57:21
84:10	59:12 61:17 62:23	makes [4] 18:7	meeting [8] 1:14	61:10 63:5 63:6
	63:14 65:15 66:3	23:13 37:22 39:16	31:18 31:22 70:10	63:8 65:11
	66:16 71:23 84:17	males [1] 10:14	80:15 82:4 87:20	mode [1] 87:2
		Manager [10] 3:2	99:23	
			meetings [3] 30:19	

RAB MEETING HELD MAY 7, 1998

Condenselt™

place - record

50:19 52:6 53:16	potentially [4] 17:13	10:22 12:11 12:12	58:7 65:17 69:8	Rauch [2] 4:17
53:21 89:14	44:8 52:11 61:10	13:8 13:17 13:19	71:18	4:17
place [6] 10:14 10:19	practice [1] 57:21	15:3 31:19 32:1	push [2] 37:8 66:24	Ray [no] 2:21
21:4 55:7 71:16	practiced [1] 58:1	32:17 60:4 73:8	push-backs [1] 96:4	3:7 4:15 4:15
75:16	precalculated [1] 40:23	73:15 83:1	pushed [1] 96:6	35:13 35:19 39:1
placed [1] 57:22	precisely [1] 81:4	product [3] 58:17	put [22] 5:4 13:23	39:5 39:15 41:13
places [2] 12:16	prefer [1] 89:8	58:21 64:10	23:1 26:9 31:6	42:16 43:21 44:4
28:7	preference [1] 70:16	products [1] 9:14	34:14 34:15 38:13	44:13 45:6 45:11
plan [5] 64:15 73:16	pregnant [1] 10:13	professional [1] 31:10	40:1 45:16 52:3	46:2 46:20 47:20
73:19 73:23 77:1	preliminary [6] 50:8	program [6] 3:5	52:8 54:15 56:6	47:24 48:4 48:12
plane [1] 17:2	67:23 68:1 68:3	9:14 51:4 77:24	56:10 57:5 72:11	48:18 52:24 53:11
planes [4] 57:22	75:18 76:19	78:5 79:2	78:10 80:3 84:16	55:1 55:14 55:19
57:23 57:23 58:8	preparation [1] 46:14	Progress [1] 35:24	90:3 97:14	55:23 56:3 56:4
planning [1] 80:16	prepared [1] 73:16	project [10] 4:1	puts [3] 21:13 36:23	56:12 56:15 56:24
plans [1] 80:16	prescribed [2] 11:12	4:14 6:14 14:6	38:3	57:24 59:17 59:20
plant [2] 19:18 20:3	11:14	15:2 53:5 53:9	putting [1] 21:23	60:1 60:18 60:21
plastic [1] 47:3	present [4] 5:14	58:18 88:8 94:15	qualifiers [1] 25:18	61:20 61:24 62:4
Plastics [1] 47:2	38:23 46:17 59:1	projects [4] 2:19	Quality [1] 3:8	63:10 63:12 63:24
plats [1] 48:6	presentation [6] 7:11 7:12 50:15	90:10 93:2 94:10	quarter [2] 94:6	65:1 66:9 66:11
playground [1] 42:14	57:3 67:17 78:24	promise [1] 56:19	94:16	66:18 68:13 68:23
playing [1] 18:21	presented [2] 32:4	properly [2] 51:5	questions [17] 5:16	70:8 70:17 72:3
plenty [1] 58:3	54:5	86:4	13:3 31:14 32:9	72:7 72:10 72:14
plug [1] 21:8	preserved [1] 91:12	properties [1] 59:7	32:12 35:12 50:7	72:23 73:4 73:12
plugged [1] 23:8	presume [1] 24:15	property [11] 11:4	52:15 54:1 57:7	74:8 76:9 76:20
plus [5] 46:6 53:2	pretty [22] 14:13	12:8 14:3 71:18	72:16 74:15 80:22	78:22 79:8 79:14
53:3 55:22 56:24	15:11 15:12 17:21	79:16 83:21 84:2	82:13 82:16 82:18	79:18 79:23 80:5
point [16] 5:8	19:24 20:1 20:20	85:9 85:10 85:12	86:8	81:21 81:22 85:8
24:2 25:12 34:21	31:4 36:9 37:14	92:8	quick [4] 31:14	85:15 85:18 85:21
45:20 45:21 46:17	37:21 38:10 40:9	protect [2] 34:4	36:5 37:2 40:9	86:15 86:19 87:3
50:11 72:17 82:5	61:8 62:20 65:10	55:17	quicker [1] 12:9	87:6 87:11 87:16
82:9 82:17 83:2	68:7 70:4 70:5	protecting [1] 63:1	quickly [7] 32:24	87:21 87:24 88:18
83:13 84:21 97:23	73:22 80:9 91:24	protective [2] 24:15	50:20 68:10 70:20	89:17 89:19 89:24
pointed [1] 62:20	previous [1] 84:3	31:10	92:2 92:12 92:22	90:18 90:23 91:3
political [1] 26:13	previously [1] 65:12	prove [2] 79:5	quiet [1] 88:6	91:14 93:14 93:16
politicians [3] 92:24	primarily [2] 57:10	94:21	quite [6] 7:17 38:18	94:8 95:1 95:10
93:17 93:19	64:22	provide [1] 30:2	50:12 56:20 59:9	95:24 96:3 96:12
Polyaromatic [1] 50:3	primary [3] 35:1	provides [1] 7:6	68:8	96:16 96:22 98:18
polycyclic [1] 67:18	58:14 71:9	proving [1] 79:6	RAB [4] 29:19 29:20	99:12
polypneumatic [1] 67:18	printed [1] 5:5	public [10] 1:14	30:17 31:19	RE [1] 1:8
population [1] 10:13	priorities [1] 99:1	4:7 6:11 16:24	rack [1] 98:22	readily [1] 17:21
populations [1] 22:14	prioritizing [1] 99:6	32:10 82:23 85:12	racked [1] 98:21	ready [3] 60:5
Porter [18] 3:20	priority [1] 99:7	88:5 100:6 100:20	radiation [3] 9:19	88:8 92:3
3:20 5:19 5:19	private [4] 82:24	publication [1] 7:5	26:21 29:6	real [6] 18:14 24:20
7:10 25:5 26:1	83:21 85:10 86:10	published [5] 10:4	RAFTS [1] 89:10	36:3 44:2 57:23
26:5 26:8 27:12	privileged [1] 82:2	36:20 40:23 46:19	raining [1] 18:22	68:14
28:23 29:15 29:18	probability [1] 8:17	48:21	Rak [8] 3:22 3:22	realignment [1] 90:14
31:1 31:15 32:6	probably [22] 2:5	publishes [1] 36:21	6:20 28:22 29:14	really [18] 14:2
32:20 33:24	10:8 12:12 13:20	pull [2] 95:19 95:24	29:17 30:23 31:24	14:17 22:2 26:2
portion [2] 38:7	20:3 22:5 27:2	pulled [2] 32:21	random [1] 39:21	27:14 28:4 31:6
58:20	31:21 36:24 37:10	75:3	range [4] 41:17	31:7 37:13 41:22
portions [2] 44:22	39:14 40:3 41:1	pulling [1] 63:19	41:20 43:23 55:21	46:12 49:13 52:13
66:22	42:23 43:18 46:24	pump [4] 28:5	ranges [1] 54:18	53:15 65:13 73:22
pose [2] 41:1 41:4	47:1 55:11 56:1	60:5 60:6 75:15	rank [1] 28:2	86:24 90:3
position [3] 83:6	60:2 73:10 93:19	pumping [1] 59:18	Rantoul [9] 1:17	reason [3] 45:9
95:4 95:5	problem [2] 59:23	pumps [1] 58:9	4:10 4:16 44:20	87:12 87:12
possibility [1] 85:5	90:16	punch [4] 37:7	71:19 80:6 82:23	reasons [3] 10:16
possible [4] 41:16	problems [4] 74:14	59:6 62:7 85:23	91:16 92:7	15:13 86:2
70:20 92:12 98:4	85:22 90:6 90:13	punched [2] 64:2	raps [1] 29:21	receiving [2] 77:14
possibly [4] 41:21	procedures [1] 5:2	64:8	rat [8] 23:20 23:23	77:15
49:18 81:9 92:9	proceedings [4] 2:1	punching [1] 59:11	24:3 24:11 25:3	recently [3] 34:13
pot [1] 90:15	99:21 100:7 100:11	purchased [1] 86:20	25:6 25:7 25:7	73:18 84:10
potential [4] 19:11	process [18] 6:18	purpose [2] 10:20	rate [1] 83:15	receptor [1] 33:21
19:14 29:3 29:24	8:3 8:12 9:7	35:1	rats [1] 23:18	recognize [2] 18:8
		purposes [5] 57:21		65:22
				recommendations [3] 50:6 50:7 71:21
				recommended [1] 51:2
				reconciling [1] 28:13
				record [6] 15:8

RAB MEETING HELD MAY 7, 1998

Condenselt™

molecule - pits

molecule [2]	26:14	72:1	73:24	74:1	91:10	93:24	94:10	open [4]	47:14	47:14	61:13	64:22	69:14
26:22		74:2	77:12	80:14	94:15	95:7	96:2	97:5	97:6		78:22	81:12	
money [22]	12:6	83:11	90:3	92:24	97:12	98:15		operable [3]	34:11		particularly [2]	52:19	
12:7	12:23	93:1	93:3	93:8	nutshell [1]	76:6		57:18	83:3		81:15		
13:2	28:2	93:16	93:20	93:22	O'Dell [1]	83:24		opinion [1]	28:9		parts [1]	36:3	
30:10	90:14	93:23	95:11	98:20	object [1]	35:21		opportunities [1]	12:17		passed [1]	6:21	
90:23	91:8	needed [2]	71:8		objective [1]	53:23		12:17			patch [1]	72:12	
92:13	94:4	needs [3]	11:23		objectives [3]	68:1		opportunity [1]	44:14		pathway [2]	33:14	
95:14	97:13	15:2	35:3	66:19	78:4	79:1		opposed [1]	61:18		33:20		
98:5	98:10	66:20	74:4	76:10	obligate [1]	98:3		orally [2]	25:7		pathways [2]	18:17	
monitor [1]	38:14	93:4			obligated [2]	90:17		25:8			19:11		
monitoring [1]	74:12	negatively [1]	28:22		observation [1]	97:24		order [6]	24:12	32:24	PD680 [1]	73:12	
month [1]	35:10	never [1]	43:23		observe [2]	2:15		33:23	54:13	92:24	penalties [1]	99:5	
monthly [1]	15:11	new [3]	16:11	29:22	3:17			93:2			pending [1]	98:11	
more [39]	6:7	88:12			obvious [1]	26:11		ordinary [1]	47:3		penetrate [1]	62:22	
6:10	6:18	newer [1]	63:22		obviously [3]	64:16		organic [2]	10:24		pens [1]	21:23	
15:20	15:21	newspaper [1]	17:1		67:8	99:5		67:11			people [19]	6:16	
23:24	23:24	next [8]	16:6	18:13	occur [1]	13:16		organics [1]	71:10		8:4	14:3	20:8
24:1	31:18	31:22	35:10	40:4	occurred [3]	7:22		organized [2]	92:3		21:11	26:3	27:9
34:22	39:17	40:5	51:8	52:7	16:7	17:15		originally [3]	38:6		28:15	29:23	35:5
45:21	48:11	nice [1]	36:9		occurs [1]	11:7		38:15	84:14		35:6	44:6	50:6
50:21	50:22	nobody [1]	78:12		odor [2]	53:18	53:18	OU-1 [3]	85:7		52:11	82:11	92:16
56:1	64:21	Nodding [1]	28:22		off [12]	5:5	19:22	85:8			95:10	95:20	95:20
69:17	69:18	non [1]	55:8		21:15	26:22	35:21	OU-2 [10]	37:16		people's [2]	14:6	
81:4	81:4	non-cancer [1]	27:10		48:13	59:18	61:22	51:13	51:14	51:15	32:5		
81:14	83:7	noncancer [2]	23:7		79:11	88:11	97:2	57:18	80:12	84:13	percent [1]	22:7	
83:8	83:14	27:16			97:4			85:6	85:9	89:7	perfect [1]	59:20	
88:18	97:17	none [1]	92:5		off-gassing [1]	18:24		ourselves [2]	81:7		perhaps [2]	57:6	
most [21]	7:19	nonhazardous [1]	42:9		offer [1]	97:24		81:9			85:6		
10:1	23:11	nontoxic [1]	55:6		office [4]	1:16		outcome [4]	8:18		period [2]	88:23	
23:17	24:16	nontoxicity [1]	25:24		77:14	78:18	83:10	8:20	8:21	100:13	95:9		
30:8	34:10	normally [1]	38:9		officer [1]	3:14		outlining [1]	44:21		permission [1]	80:7	
37:10	50:2	north [2]	60:18	60:20	officers [1]	95:4		outside [4]	62:2		person [12]	5:2	
54:20	54:21	Notary [2]	100:6		old [7]	16:10	16:18	65:21	65:23	66:14	5:10	19:14	20:11
55:17	62:14	100:20			19:2	48:1	74:15	62:17			20:19	25:14	32:13
73:10	93:17	noted [1]	61:12		75:13	84:2		overly [1]	55:16		43:12	43:19	87:7
mother [1]	28:16	notes [1]	100:11		older [1]	40:3		overnight [1]	95:18		94:18	95:12	
mound [1]	65:20	nothing [3]	17:5		oldest [1]	16:12		overview [2]	7:7		perspective [1]	29:22	
mouth [2]	21:22	53:19	92:4		Olguin [1]	3:13		32:3			pervasive [1]	84:5	
21:23		notice [3]	34:15	86:21	3:13	94:24		own [1]	7:20		pesticides [1]	20:18	
move [6]	12:4	13:15			on-site [3]	16:22		owned [3]	85:10		petroleum [5]	58:21	
12:6	17:23	number [34]	10:5		22:19	29:23		86:19	87:7		59:12	59:15	61:11
38:23	84:13	10:6	10:6	10:7	once [4]	28:7	34:10	package [1]	14:5		64:14		
moved [1]	50:12	13:20	13:21	13:23	45:1	46:13		packet [1]	26:21		petroleum-related [1]	64:9	
mow [1]	21:16	13:24	14:2	14:10	one [55]	1:16	7:12	pages [1]	100:10		petroleum-type [1]	71:1	
multiply [1]	54:19	14:14	14:17	14:18	13:14	18:15	19:19	PAH's [5]	67:17		pH's [3]	49:7	49:23
museum [1]	81:18	21:13	22:22	22:24	20:10	22:21	24:22	69:15	69:17	69:18	50:4		
must [2]	75:3	23:3	24:10	24:14	26:20	27:10	27:10	parameters [1]	74:2		philosophy [3]	26:13	
name [4]	2:13	24:21	24:21	24:22	28:12	29:1	29:12	Parcel [1]	81:1		26:16	27:19	
3:10	5:19	25:15	27:24	53:5	29:13	29:15	30:21	parcels [4]	30:4		photographs [3]		
national [3]	9:3	55:22	55:24	57:21	31:13	31:17	31:21	85:2	86:11	87:7	16:10	81:18	81:19
13:9	99:1	69:7	69:19	70:21	31:22	32:4	33:22	Pardon [3]	63:11		physical [3]	9:19	
natural [2]	79:2	76:5	76:13	82:7	38:1	40:4	40:5	66:10	72:5		17:19	22:15	
79:5		numbers [19]	11:17		41:6	41:16	43:8	park [1]	21:6		pick [1]	64:23	
nature [2]	9:17	13:20	14:19	15:5	46:8	46:22	49:5	parking [3]	68:23		66:5		
50:23		15:6	15:7	15:12	51:1	54:15	54:19	69:1	72:4		pictures [5]	36:10	
near [1]	30:14	15:22	25:1	27:24	57:6	59:5	59:7	part [6]	6:13	23:16	39:20	60:9	60:10
nearby [2]	6:16	31:5	32:8	67:23	61:13	63:2	63:8	31:24	38:8	84:15	91:24		
22:14		75:21	75:22	75:22	63:14	63:24	64:1	84:18			pink [2]	37:18	40:14
neat [1]	89:3	76:4	78:14	93:22	65:18	66:4	67:13	participated [1]	29:21		pipes [1]	63:19	
necessarily [2]	84:23	Nussbaum [21]	4:21		70:9	73:10	83:1	participation [1]			pit [2]	58:11	69:9
85:11		4:21	77:23	79:4	83:2	87:7	88:1	88:15			pits [7]	39:21	42:24
need [34]	10:9	79:10	79:16	79:20	89:17	89:5		particular [6]	9:2				
11:2	12:9	80:2	80:9	90:2	ones [3]	7:2	63:23						
17:4	17:6	90:20	90:24	91:5	onto [1]	78:12							
25:17	29:8												
36:24	45:16												
52:3	53:12												

RAB MEETING HELD MAY 7, 1998

Condenselt™

recorded - side

41:7 77:20 97:2	represent [2] 7:19	79:3 85:7 85:16	51:10 51:11 53:17	see [30] 6:2 9:13
97:4 97:21	30:18	89:12 89:15 91:3	53:19 89:10	10:5 11:3 15:10
recorded [2] 77:12	representative [2]	91:9 93:1 93:6	sampld [4] 15:11	15:20 18:18 24:3
77:13	22:3 64:18	98:23	40:21 52:6 74:12	38:10 39:22 39:23
Recorder [1] 77:19	representatives [1]	risk [16] 5:1 5:14	samples [13] 11:15	40:14 41:8 41:9
Recorder's [2] 77:14	7:14	5:24 6:2 6:4	11:16 40:13 41:17	43:7 47:24 49:21
78:17	represents [1] 55:22	6:12 6:21 7:5	43:2 52:4 52:5	57:4 64:13 64:15
recording [1] 77:15	required [1] 56:9	7:7 7:23 8:2	52:7 53:21 67:8	69:22 75:1 75:17
records [4] 16:24	requires [1] 88:22	8:17 8:19 8:20	69:13 73:24 74:1	79:8 81:4 83:7
20:17 20:19 36:15	research [3] 14:6	9:4 9:8 9:12	sampling [13] 11:13	92:2 92:11 95:7
recreational [1] 45:24	23:2 26:24	10:15 10:17 11:4	15:8 15:9 16:23	98:8
red [5] 9:6 9:11	resident [1] 4:20	11:6 11:8 11:10	17:5 46:9 50:21	seeing [3] 48:24
41:9 42:3 49:21	residential [2] 20:11	11:12 11:17 11:19	50:22 51:2 71:3	48:24 63:13
redemption [1] 79:19	21:10 43:9 43:13	11:19 11:21 11:23	71:21 71:24 76:16	seem [1] 92:20
reduced [2] 29:8	44:23 45:9 45:10	11:23 12:1 12:5	San [4] 3:19 3:21	sees [1] 64:9
97:14	45:15 45:17 46:6	12:17 12:18 12:24	5:13 22:4	send [1] 62:8
refers [1] 51:15	78:9 78:23	13:1 13:7 13:11	sand [16] 37:9	sense [2] 18:7
refueling [1] 58:8	residents [2] 4:18	14:8 21:9 21:14	37:14 37:18 37:21	23:13
Registry [1] 6:10	6:16	23:9 25:14 25:19	38:7 38:11 38:17	sensitive [1] 55:17
regular [1] 97:15	residual [1] 58:10	27:18 27:20 27:21	38:21 39:13 62:21	sent [3] 5:4 73:20
regulations [6] 39:8	resins [1] 59:10	27:22 27:23 28:24	62:23 64:20 64:23	83:11
55:12 71:16 78:1	resistance [1] 37:8	29:2 29:9 30:6	84:1 84:5 84:10	separate [1] 89:22
78:1 78:8	resources [1] 10:10	31:1 31:7 32:1	sandbox [1] 18:21	separated [1] 65:22
regulators [2] 48:23	respect [4] 34:18	32:24 33:1 33:18	save [2] 40:10 70:16	separately [1] 89:22
99:4	34:19 63:8 90:4	33:22 33:23 37:23	saw [7] 14:5 16:1	separates [1] 85:9
regulatory [1] 41:19	respond [2] 32:12	39:16 41:1 41:4	49:1 49:2 53:17	September [1] 15:15
relate [1] 24:5	80:17	41:12 42:2 43:12	53:18 53:19	series [1] 27:24
related [1] 16:9	response [6] 12:9	43:16 45:4 46:15	says [9] 17:1 27:15	services [1] 82:10
relative [3] 59:14	52:16 72:17 80:23	51:5 51:6 52:7	27:17 32:24 48:6	set [5] 6:24 7:2
84:7 96:11	82:20 99:19	52:10 54:14 56:12	48:9 55:6 76:11	21:7 63:9 90:15
relatively [1] 84:8	responsibility [1]	65:17 65:18 67:9	79:18	setting [1] 22:15
release [1] 88:5	83:20	67:23 74:3 76:3	scenario [3] 20:11	seven [3] 4:2
relying [1] 84:3	responsible [1] 14:9	78:6 78:15 98:19	37:24 43:14	63:6 89:13
remains [1] 77:6	rest [1] 89:11	risk [2] 29:7 71:17	scenarios [1] 45:4	several [5] 34:20
remedial [5] 4:2	Restoration [7] 1:7	Ron [2] 3:20 3:20	Schafer [9] 4:13	44:20 65:6 67:18
11:7 12:13 34:8	7:16 8:13 98:14	5:13 5:14 5:19	4:13 66:21 67:2	68:5
67:24	99:22 100:8 100:11	5:19 7:9 7:10	77:18 83:16 86:8	sewer [3] 88:21
remedials [1] 90:11	restrict [1] 37:1	26:8 27:12 28:23	97:22 98:23	89:1 89:2
remediation [9] 6:5	restricted [1] 34:15	29:15 29:18 31:1	science [3] 9:3	shallow [1] 37:20
6:14 12:10 29:11	restriction [2] 77:21	31:15 32:3 32:6	13:9 79:11	share [1] 30:16
71:14 75:15 77:5	79:17	32:20 33:24	scientific [1] 8:6	sheet [1] 32:8
99:14 99:16	restrictions [1] 78:11	root [1] 25:16	scientist [2] 31:2	short [1] 95:8
remedy [4] 44:11	result [2] 34:1	rough [1] 76:6	31:3	shortest [1] 22:20
44:16 56:10 92:20	38:18	round [1] 71:8	scientists [1] 13:10	shorthand [3] 100:6
remember [9] 16:14	results [4] 28:19	Roy [1] 5:13	scrape [1] 18:2	100:7 100:11
16:15 28:21 29:22	40:22 61:4 67:6	run [2] 2:4 97:7	screened [1] 43:3	shot [1] 66:4
29:23 61:16 63:13	87:22 87:23 93:11	Rundell [23] 3:1	screening [13] 10:6	show [15] 36:17
63:18 92:15	reuse [5] 45:4 87:14	3:1 36:4 36:5	10:11 41:2 41:6	37:18 39:20 39:23
reminded [1] 34:10	87:22 87:23 93:11	39:3 39:6 39:16	41:7 43:9 46:13	42:12 44:7 46:18
removal [2] 71:13	review [1] 80:17	41:15 42:7 42:17	49:22 67:20 67:21	49:5 57:16 60:9
81:8	reviewed [2] 48:23	43:7 44:1 44:5	67:22 69:20 75:22	63:2 65:8 65:24
remove [1] 81:16	50:10	46:3 46:22 47:17	seal [1] 100:14	68:19 70:6
removed [2] 56:7	RF [1] 89:6	48:8 48:14 49:4	sealed [1] 35:21	showed [5] 20:20
61:15	RI [4] 11:8 12:19	51:14 53:4 53:13	seasons [1] 66:7	26:17 36:9 63:21
repair [2] 27:5	91:7 96:6	run [1] 80:13	second [3] 34:7	71:9
72:15	RI's [1] 90:10	90:14 92:13	84:15 84:18	showing [3] 36:10
replace [1] 72:10	right [4] 2:11	runway [1] 43:23	seconds [1] 56:24	36:18 63:6
report [4] 46:14	14:20 17:24 18:4	sack [1] 16:3	secretary [3] 44:21	shown [1] 77:4
50:14 76:7 77:9	23:13 26:1 27:13	safe [6] 24:12 25:2	45:2 95:13	shows [7] 37:12
reported [1] 100:7	32:22 37:2 42:3	25:11 45:10 45:11	section [3] 21:1	39:19 41:6 41:8
Reporter [2] 100:5	43:18 44:1 44:7	60:3	64:15 70:14	41:11 43:16 63:4
100:6	44:12 44:17 46:2	safety [3] 9:20	sector [2] 83:21	shut [1] 75:17
reporting [3] 1:22	48:24 51:15 56:3	24:7 24:7	85:10	shutting [1] 90:12
5:23 100:16	56:13 56:14 57:17	Salt [1] 66:1	secure [4] 91:7	side [6] 5:24 6:7
	58:12 61:2 62:13	sample [12] 16:8	93:1 96:5 96:7	8:6 8:23 8:24
	64:8 64:16 69:22	18:12 40:18 40:18	sediment [2] 61:2	
	70:9 73:15 75:6	40:20 41:11 42:3	61:4	

RAB MEETING HELD MAY 7, 1998

Condenselt™

sideline - TCLP

11:21	64:14	64:17	67:8	special [2]	97:16	52:7	76:1	34:7	35:16	35:23
sideline [1]	35:4	68:5	68:7	98:16		STEPHEN [19]	77:23	48:16	52:15	53:7
sign-up [1]	32:8	69:13	71:2	speciated [2]	54:6	79:4	79:10	56:16	57:4	68:17
signage [1]	34:16	soils [4]	20:18	54:12		79:20	80:2	69:24	72:16	72:21
significant [1]	62:21	43:17	49:6	speciates [1]	54:4	90:2	90:20	73:1	75:12	77:8
similar [3]	5:23	solder [2]	81:11	specific [2]	31:24	91:5	91:10	80:11	80:22	81:24
37:6	42:13	81:13		76:3		94:10	94:15	86:6	86:13	86:16
sit [2]	92:3	solid [3]	14:11	specifically [3]	2:18	96:2	97:12	86:18	86:24	87:4
6:1	6:2	14:12		34:11	82:13	steps [1]	13:7	87:14	89:16	89:21
9:2	10:3	10:19		speed [1]	66:16	Steve [4]	4:21	91:9	93:14	94:13
10:20	10:21	11:7		spend [10]	10:9	4:21	77:22	95:23	96:10	96:14
12:8	16:11	17:2		12:5	14:3	still [6]	50:17	96:18	96:24	97:5
17:4	18:3	25:15		30:10	91:23	53:19	68:22	97:10	97:20	98:13
30:7	30:11	30:11		94:5	94:7	93:12		99:18		
30:13	51:4	51:6		spent [2]	91:8	stop [3]	13:5	summarize [1]	68:16	
51:12	51:19	54:6		94:22		40:8		summary [2]	29:2	
57:10	57:11	57:19		spikes [1]	64:9	stopped [1]	11:3	68:14		
58:15	58:20	59:9		spill [2]	10:20	storage [5]	58:9	summer [2]	51:9	
62:12	64:23	67:10		spills [1]	16:24	69:7	74:13	89:7		
69:6	69:11	69:14		spoke [6]	36:6	77:24		summer/early [1]		
69:16	69:19	69:21		36:9	37:4	straight [1]	66:2	80:19		
74:3	74:9	74:11		43:11	83:24	strategies [1]	29:11	sun [1]	26:19	
76:3	78:23	79:6		sponsors [1]	88:12	stream [2]	19:1	Superfund [7]	7:4	
80:3	93:20	99:8		spot [2]	47:24	19:3		7:7	93:20	99:1
sites [30]	4:2	soon [2]	89:8	spray [1]	74:24	street [2]	28:16	99:7	99:8	99:13
9:10	10:16	17:10		spread [1]	9:23	88:10		supposed [1]	29:1	
17:12	22:9	28:2		spy [1]	56:12	strengthen [1]	15:3	surface [20]	17:17	
29:8	29:10	30:1		square [2]	88:1	stricter [1]	39:17	39:4	40:1	40:18
30:3	30:7	34:8		88:7		strings [2]	95:19	41:11	43:2	43:17
34:10	34:20	34:21		SS [2]	1:1	96:1		44:7	49:6	49:20
34:21	44:19	51:17		stack [1]	18:19	strong [2]	24:20	53:1	53:2	53:2
51:18	51:20	57:13		stain [1]	53:18	93:18		53:2	53:7	64:19
57:15	71:10	71:15		stakeholders [1]	6:17	strongly [1]	98:2	66:14	68:5	68:8
89:13	98:24	99:1		stance [1]	26:13	studies [1]	84:3	80:1		
99:7	99:13			stand [1]	83:15	study [3]	12:14	Surgeon [2]	5:21	
sitting [1]	78:18	source [6]	16:20	standard [1]	43:13	12:19	61:4	7:14		
situation [1]	36:23	16:24	33:19	standards [2]	39:17	stuff [22]	16:4	survey [1]	36:10	
skeet [3]	41:13	75:6	81:5	74:20		16:17	16:18	susceptible [1]	26:20	
41:20		60:19		standpoint [2]	34:24	23:12	24:11	suspect [4]	61:2	
skin [1]	26:20	66:3		52:20		31:4	46:18	61:5	62:18	64:13
Skipping [1]	69:22	southeast [3]	47:21	stands [1]	49:7	59:18	65:3	suspected [3]	58:6	
Skridolls [2]	3:4	47:21	65:24	start [9]	2:10	70:4	70:5	58:22	60:14	
3:4		southern [1]	83:18	44:16	88:10	89:11	89:12	sustain [1]	39:11	
slated [1]	94:16	southwest [1]	66:3	91:6	95:16	94:19	95:14	Sylvia [7]	3:18	
sliced [1]	65:7	space [1]	48:5	99:4		Sub [1]	53:14	3:18	3:23	5:9
slide [8]	20:22	speak [4]	36:4	started [5]	26:17	subject [1]	35:15	5:11	5:12	5:22
57:5	65:2	95:2	98:12	59:17	84:2	submitted [4]	73:18	system [4]	75:15	
68:14	77:8	25:22	26:2	92:14		75:18	76:7	75:16	75:20	77:5
slides [3]	6:24	27:8	32:18	starting [1]	80:17	subset [1]	40:11	systematic [1]	40:2	
7:1	52:18	42:6	42:11	state [9]	1:1	substance [1]	26:15	Systems [1]	3:21	
slight [1]	26:10	44:10	44:18	74:19	77:10	Substances [1]	6:9	T [1]	88:8	
slope [1]	27:16	45:13	45:20	77:24	95:22	substantial [1]	37:22	table [2]	59:21	90:4
sludge [2]	58:11	47:7	47:9	100:7		substantiate [2]	66:6	tables [1]		92:15
69:9		47:18	47:23	statement [1]	91:16	71:8		TACCAO [2]	78:4	
small [1]	9:7	48:20	48:22	states [3]	6:9	substituted [1]	14:23	79:7		
smelled [1]	53:18	51:13	54:2	13:11	32:15	subsurface [6]	40:18	takes [1]	19:23	
soft [3]	14:17	54:10	55:10	station [1]	75:13	40:19	42:4	taking [2]	12:7	
31:3		55:20	55:24	statistic [1]	28:20	64:4	68:7	72:20		
softer [1]	24:22	56:14	63:16	statistical [1]	14:5	succeeded [1]	77:7	tank [8]	58:13	68:21
soil [32]	17:18	63:22	66:24	status [2]	35:24	such [1]	82:23	74:11	74:13	75:2
18:1	18:2	69:1	69:3	58:16		sudden [1]	87:12	75:3	75:4	77:24
21:20	21:21	73:3	74:5	stay [1]	21:16	sufficient [1]	84:5	tanks [2]		58:10
33:12	33:12	74:22	75:8	step [4]	17:9	suiters [1]	16:20	69:7		
42:4	42:15	85:13	85:16			SUITS [44]	2:3	TC [1]	15:16	
44:8	49:20	86:10	86:17			4:23	31:14	TCE [5]	17:20	27:2
53:9	53:15	86:23	87:9					67:15	73:9	73:9
59:12	64:3	87:23	88:14					TCLP [6]	41:7	
		97:7	99:9							
		speaking [1]	19:21							

RAB MEETING HELD MAY 7, 1998

Condensat™

tea - Virlon

41:12 41:23 42:5	56:21 59:6 64:3	tough [1] 27:21	ultimately [1] 54:20	61:5 61:8 61:13
42:6 42:7	64:16 69:10 69:22	town [1] 82:6	ultraviolet [4] 59:10	63:9 64:7 64:23
tea [1] 22:6	70:19 71:23 72:4	toxic [3] 6:9 55:6	64:6 69:12 71:4	65:7 66:2 66:16
team [4] 3:19 5:9	72:7 78:20 81:24	55:8	unable [2] 82:5	67:5 67:24 69:14
6:5 45:3	85:23 96:23	toxicity [15] 13:15	82:14	72:20 76:4 77:4
technical [3] 52:19	throughout [2] 95:21	13:18 14:11 14:19	unacceptable [2]	79:6 81:7 84:16
52:22 87:5	95:22	14:21 22:21 23:4	43:16 43:18	84:18 86:1 90:15
technique [1] 71:4	throw [2] 48:10	23:5 23:12 23:18	uncertainties [1]	96:9 96:13 97:18
technology [5] 6:5	67:5	25:22 42:9 54:20	31:9	98:21 99:4
6.6 15:19 15:23	Tier [8] 75:19 75:21	54:21 54:23	under [7] 11:24	update [4] 36:7
28:4	76:2 76:19 77:1	toxicologist [1] 3:23	12:1 49:19 78:4	80:12 80:24 81:2
TEF [1] 54:18	77:2 77:4 78:3	toxics [1] 54:21	78:8 79:7 100:14	upper [2] 37:19
telephone [1] 32:7	time [54] 2:12 4:24	traffic [1] 35:8	underground [6]	38:7
tells [3] 11:9 37:8	5:3 5:3 9:9	trailer [1] 88:23	58:9 69:7 74:11	Urey [2] 3:16 3:16
55:13	10:9 13:5 13:17	training [16] 16:3	74:13 75:2 77:24	urgency [1] 34:23
temperature [2] 20:4	13:19 14:3 14:7	34:19 57:10 57:14	underlying [1] 64:5	USBCA [1] 97:23
22:16	16:19 17:23 20:21	57:16 57:20 57:20	underneath [3] 36:11	used [26] 6:1
temperatures [1]	20:21 22:18 22:20	58:7 58:20 60:12	37:15 38:11	6:4 15:16 16:15
47:11	30:12 31:13 31:22	60:23 69:8 69:19	understand [1] 7:18	19:19 20:4 30:5
temporary [1] 65:14	34:6 35:14 36:4	69:21 71:2 89:14	8:4 24:16 26:8	31:2 31:3 38:12
tend [2] 6:23 49:11	36:6 36:8 37:4	transcript [2] 2:1	32:17 52:23 91:17	39:10 40:8 44:15
term [2] 54:15 84:7	37:14 40:10 44:15	100:10	91:18 93:10 95:4	53:8 57:20 58:3
termed [1] 68:1	49:2 50:12 52:21	transfer [3] 45:14	95:11	58:7 59:13 61:14
terminology [3] 8:16	56:20 56:22 59:21	45:16 83:20	understands [2] 95:12	64:4 64:6 67:21
34:23 52:20	62:9 70:9 72:20	transferring [2] 71:18	95:13	71:4 73:10 81:13
terms [8] 6:22	77:16 78:2 81:13	84:2	understood [1] 8:9	91:13
8:4 8:6 8:7	81:19 82:7 82:19	transverse [1] 85:12	unfair [1] 70:1	useful [1] 77:18
36:1 43:19 45:3	83:17 88:24 90:9	trap [1] 87:5	UNIDENTIFIED [63]	USEPA [8] 4:5
99:6	91:14 92:19 92:23	trapped [1] 64:14	24:24 25:22 26:2	4:13 40:22 43:10
test [2] 42:13 50:19	93:3 95:9 95:19	treat [2] 28:5 34:22	26:6 27:8 32:18	45:23 54:13 83:6
tested [1] 74:16	times [4] 6:24	treat-type [1] 75:16	33:16 42:6 42:11	91:1
thank [10] 4:23	24:7 54:18 66:7	treating [1] 89:21	43:6 44:10 44:18	USEPA's [2] 67:22
7:9 31:13 34:6	Timewise [1] 56:17	trench [1] 40:20	45:8 45:13 45:20	83:19
56:16 60:21 67:3	timing [1] 93:6	trenches [1] 39:24	47:2 47:7 47:9	uses [2] 30:3 45:3
67:3 82:17 99:19	tire [2] 19:18 19:20	trenching [1] 51:21	47:15 47:18 47:23	using [8] 7:1
theories [3] 41:21	tissuc [2] 19:8	triangle [1] 33:17	48:3 48:20 48:22	37:11 43:13 55:4
42:19 46:23	33:2	tries [1] 18:15	49:1 51:13 54:2	60:12 75:19 78:2
Therefore [1] 75:3	title [1] 9:7	trouble [3] 2:9	54:8 54:10 55:10	78:6
they've [2] 16:21	today [5] 7:4	28:13 97:19	55:15 55:20 55:24	usually [1] 53:5
75:9	41:20 49:2 66:22	truck [1] 64:1	56:9 56:14 63:16	UV [1] 26:21
thick [4] 37:14 37:19	91:8	truckload [1] 15:9	63:18 63:22 66:24	vacation [3] 19:22
thickness [2] 39:13	together [1] 91:11	true [3] 28:17 99:13	67:3 69:1 69:3	21:12 21:15
52:1	tolerant [1] 83:17	100:10	70:15 73:3 74:5	value [4] 27:17
thinking [1] 26:12	tonight [2] 5:6	try [14] 6:18 8:3	74:10 74:22 75:8	30:10 54:21 77:3
thinks [1] 13:11	88:12	8:7 13:4 16:12	76:24 85:13 85:16	values [7] 10:11
third [1] 94:5	too [17] 13:4 14:18	31:21 36:3 37:1	85:20 86:10 86:17	21:8 36:21 40:23
Thomas [2] 4:4	15:22 22:22 24:20	53:23 58:16 66:16	86:21 86:23 87:9	46:19 75:23 77:5
4:4	38:19 40:21 49:17	91:12 93:9 94:6	87:19 87:23 88:14	varies [1] 53:5
thought [4] 38:6	49:17 62:4 62:7	trying [16] 44:12	88:16 97:7 99:9	various [1] 45:4
53:17 84:14 89:20	67:5 87:17 92:19	46:17 65:2 67:9	unit [12] 34:11 37:15	verify [1] 51:23
thousand [1] 24:9	93:6 95:2 95:17	74:18 75:5 90:4	37:18 37:20 37:21	view [1] 64:15
three [11] 7:8	took [16] 5:5 9:10	90:21 91:7 91:10	38:11 38:17 39:12	Village [2] 71:19
33:22 33:23 58:14	10:19 30:24 31:15	92:21 95:6 95:8	39:13 57:18 62:21	82:23
63:7 63:10 63:12	40:18 40:18 40:19	96:5 96:6 96:8	United [1] 13:11	Vilman [3] 3:24
63:17 65:23 82:24	40:22 43:1 43:2	turned [1] 21:6	units [3] 38:7 57:22	3:24 80:14
87:7	53:19 65:6 66:12	two [6] 13:16 27:9	65:11	Virgil [2] 4:11
threshold [3] 26:4	67:8 69:12	35:10 59:2 65:21	unless [1] 83:22	4:11
27:1 27:2	tool [1] 59:10	89:18	up [58] 5:24 9:5	Virlon [51] 2:3
threw [1] 42:24	tools [3] 59:4 59:5	type [7] 12:3 31:18	10:4 12:5 12:6	4:23 31:14 31:16
through [27] 15:15	59:8	49:19 49:24 56:6	12:13 12:23 13:2	34:7 35:13 35:16
16:4 16:22 17:21	tooth [1] 17:11	61:7 71:13	18:2 23:22 24:4	35:23 36:22 48:16
19:11 19:12 20:16	top [6] 12:3 48:1	types [4] 19:15	25:13 26:9 26:12	52:15 53:7 56:16
26:18 35:6 41:23	56:6 58:23 60:19	29:11 49:23 69:18	26:13 28:4 28:12	57:4 68:17 69:24
51:9 51:9 55:14	total [1] 54:3	typically [3] 49:15	30:8 30:15 31:20	72:16 72:21 73:1
	totally [1] 63:7	53:21 67:13	34:15 35:8 48:11	75:12 77:8 78:19
	touched [1] 59:5		54:23 54:23 56:1	80:11 80:22 81:24
			56:2 58:11 60:2	83:18 86:6 86:13
			60:11 60:13 60:16	86:16 86:18 86:24

87:4	87:14	89:16	2:23	56:22	57:2
89:21	90:4	91:9	57:8	57:9	58:1
92:14	93:14	94:11	59:19	59:22	60:4
94:13	95:23	96:10	60:20	60:22	61:23
96:14	96:18	96:24	62:1	62:6	63:11
97:5	97:10	97:20	63:15	63:20	64:2
98:13	99:18		65:5	66:10	66:12
visibility [1]	43:23		67:5	68:15	68:18
VOC's [1]	67:11		69:5	70:12	70:19
volatile [2]	67:11		72:6	72:9	72:12
71:10			72:19	73:6	73:14
volunteers [1]	89:4		75:10	75:14	76:11
wait [3]	95:17	97:8	76:22	84:16	
98:7			Wirges [4]	4:9	
walk [1]	53:9		4:9	97:2	97:17
Walker [2]	3:8		Wisconsin [1]	37:20	
3:8			wish [1]	83:7	
walking [1]	44:6		within [2]	79:24	
wanting [1]	55:17		80:8		
Ware [5]	4:6		without [2]	78:16	
82:3	82:12	82:18	80:7		
warehouse [1]	88:7		women [1]	10:15	
warmer [1]	22:3		wondering [1]	54:9	
warrant [1]	55:1		word [1]	8:18	
washing [1]	88:24		words [5]	6:23	
waste [9]	36:13		9:7	55:4	60:10
36:15	40:2	40:15	84:21		
42:8	42:9	42:24	work [25]	3:2	
52:2	52:2		3:5	3:23	5:20
watch [1]	24:3		5:21	5:22	10:14
water [21]	17:17		12:14	19:17	21:22
19:10	20:6	21:19	30:11	32:15	50:17
36:20	37:22	38:4	69:23	73:16	73:19
38:12	39:10	40:20	73:23	80:16	81:4
49:16	52:5	53:24	84:9	90:24	92:5
58:23	59:21	60:24	95:17	99:9	99:14
65:20	66:6	74:11	worker [1]	19:17	
79:24	85:19		working [9]	2:18	
watered [1]	23:24		34:12	57:10	74:20
watery [1]	23:21		79:5	80:15	88:13
ways [5]	19:14	27:9	92:21	92:21	
35:22	41:19	92:1	works [4]	6:7	
weed [1]	39:19		8:3	15:12	80:7
week [1]	19:24		worse [1]	96:23	
weekend [1]	35:5		written [1]	94:21	
weeks [2]	19:22		wrong [1]	73:21	
21:15			yard [1]	11:11	
weeks' [1]	21:12		yards [1]	18:2	
weird [1]	86:1		year [10]	19:22	21:12
welcome [1]	2:8		26:12	26:14	43:15
wells [12]	16:18		61:15	61:16	90:17
37:6	38:14	51:10	94:17	97:13	
52:3	52:8	65:15	years [14]	7:13	
65:23	74:12	80:3	16:6	16:13	19:3
86:2	86:3		20:12	20:14	20:14
west [1]	48:5		20:15	20:15	20:21
Whereas [1]	39:22		34:4	44:20	91:2
white [4]	38:20		97:8		
86:18	86:22	86:23	yellowish [1]	64:17	
whole [4]	51:14		yet [5]	34:21	35:17
51:15	86:4	92:11	44:11	48:15	59:18
wide [1]	48:5		yield [1]	39:11	
wife [1]	81:20		yourself [1]	2:11	
Williams [42]	2:13		zero [3]	26:12	26:18
2:14	2:16	2:17	55:14		
			zones [1]	64:7	

FINAL PAGE

ADMINISTRATIVE RECORD

FINAL PAGE