



CHANUTE AFB  
ILLINOIS

---

ADMINISTRATIVE RECORD  
COVER SHEET

AR File Number 3356.1

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

BEFORE THE RESTORATION ADVISORY BOARD

IN RE THE MATTER OF:  
  
CHANUTE AFB INSTALLATION  
RESTORATION PROGRAM

BOARD MEETING

Proceedings had on November 14th, 2002, at AFBCA  
Public Meeting Room, 6 Aviation Drive, Rantoul,  
Champaign County, Illinois, commencing at the hour of  
6:04 o'clock P.M., before the Restoration Advisory  
Board, before H. Lori Bernardy, a Notary Public of  
Sangamon County, acting within and for the County of  
Champaign, State of Illinois.

**ORIGINAL**

BALDWIN REPORTING & LEGAL-VISUAL SERVICES  
Serving Illinois, Indiana & Missouri  
24 hrs (217)788-2835 Fax (217)788-2838  
1-800-248-2835

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

PRESENT:

Tim Brecheen	AFRPA
Gary Adams	Village of Rantoul
Caryl E. Fothergill	RAB Member
Carl R. Sahre	AFBCA
Janice Blake	AFCEE
Steve Katz	URS Corporation
Patrick O'Shea	NERC
Tony Wood	TEAM Integrated Engineering
Louis Kowakski	RAB Member
Rob Lanter	URS Corporation
Jim Rehage	URS Corporation
Gary Schafer	USEPA
Rich Weber	Montgomery-Watson-Harza
Donna Kozak	Booz Allen Hamilton
Chris Hill	IEPA
Lorraine Wirges	RAB Member
Tim Mitchell	Rantoul <u>News-Gazette</u>
George Protich	Montgomery-Watson-Harza
Mike Steele	Montgomery-Watson-Harza
Richard H. Mueller	Montgomery-Watson-Harza

## 1 P R O C E E D I N G S

2 MR. BRECHEEN: Good evening, we're ready to get  
3 started. I guess we'll start with introductions.

4 Thank you first of all for coming out to the  
5 meeting tonight and for braving our sidewalks in  
6 getting over here, over these much helpful building  
7 improvements.

8 We'll just go around the table and start.

9 MR. KOWALSKI: My name is Lou Kowalski.

10 I'm a citizen of Rantoul and I'm on the RAB.

11 MR. FOTHERGILL: Caryl Fothergill, RAB member.

12 MS. WIRGES: Lorraine Wirges, RAB member, plus  
13 other things.

14 MS. KOZAK: Donna Kozak, Booz Allen Hamilton.

15 MR. HILL: Chris Hill with the Illinois EPA.

16 MR. SCHAFER: Gary Schafer with the US EPA.

17 MR. ADAMS: Gary Adams, Village of Rantoul.

18 MR. BERGER: Reed Berger, I'm also with the  
19 Village.

20 MR. BRECHEEN: Tim Brecheen, the Air Force Base  
21 Conversion Agency.

22 MR. PROTICH: George Protich, Montgomery Watson  
23 Harza Project Manager.

24 MR. O'SHEA: Patrick O'Shea, seeding contractor

1 for the Conversion with NERC.

2 MR. WEBER: Rich Weber, Montgomery Watson Harza.

3 MS. BLAKE: Janice Blake with the Air Force  
4 Center for Environmental Excellence.

5 MR. LANTER: Rob Lanter, URS.

6 MR. KATZ: Steve Katz with URS.

7 MR. REHAGE: Jim Rehage, URS.

8 MR. MITCHELL. Tim Mitchell from the  
9 News-Gazette.

10 MR. WOOD: I'm Tony Wood.

11 I'm with TEAM Integrated Engineering and  
12 we're here in support of AFCEE.

13 MR. SAHRE: Carl Sahre with the AFBCA.

14 MR. BRECHEEN: Before we get started, we've had a  
15 name change.

16 The Air Force Base Conversion Agency is now  
17 the Air Force Real Property Agency.

18 Our Director sent a letter to the Village  
19 announcing that change.

20 And what we've done is the Air Force Base  
21 Conversion Agency assists closed bases and converts to  
22 reuse and community redevelopment and our role is  
23 expanding to include -- in that role, we've managed a  
24 lot of real property on closure bases.



1 accept them?

2 MS. WIRGES: I so move.

3 MR. BRECHEEN: Okay, a second?

4 MR. FOTHERGILL: I second.

5 MR. BRECHEEN: All in favor?

6 RAB MEMBERS: Aye.

7 MR. BRECHEEN: Thank you.

8 Any other comments or feedback before we  
9 start on the presentation?

10 (No audible response.)

11 MR. BRECHEEN: Okay. We'll go ahead and start  
12 with Rich Weber from Montgomery, Watson & Harza.

13 MR. WEBER: Before we start, I'd like to  
14 introduce Mike Steele who just walked in.

15 He's also with our Company as Inspection  
16 Division, and Rick Miller in the background also with  
17 MWH.

18 All right. We last met in August and  
19 basically Landfill 1 we've finished pretty much  
20 finished up.

21 We've got some slides here to show you.  
22 It's always more interesting to look at photos than  
23 words, but we've finished the topsoil placement, the  
24 seeding, the fertilizing, mulching, putting in erosion

1 matting and rip rap.

2 And we've got the pumps in place for  
3 leachate collection system.

4 And what we need to do basically for that is  
5 do the electrical hookup and then that system will be  
6 ready to go once we work with the Village and the IPA  
7 on a permit to discharge the leachate.

8 Landfill 2, we've done grading and shaping  
9 getting that site ready to layover for winter.

10 We're putting in some erosion features.

11 But the capping on that will not happen  
12 until next year pending program of dollars for that,  
13 which is planned.

14 And then Landfill 3 in the Northern  
15 Excavation Area, since we met last, we've built the  
16 cover on Landfill 3.

17 And I've got a series of photos to show the  
18 typical construction sequence for that.

19 And we've also installed a passive gas vent  
20 system, and prior to that, configured a small amount  
21 of waste consolidation that was left as of August.

22 And then we're in the process of doing site  
23 restoration.

24 The topsoil placement is basically done as



1 of today.

2 And as soon as the seeding contractor, which  
3 is Pat O'Shea with NERC, is done at Landfill 1, which  
4 should be tomorrow, weather permitting, then we'll be  
5 moving over to Landfill 3 and getting that buttoned-up  
6 for the winter.

7 At the Village borrow source, we finished  
8 hauling dirt.

9 Mid-September we hauled our last load of  
10 soil over to the landfill.

11 And prior to that we had to pump out about  
12 50 million gallons of water so we could get at that  
13 soil.

14 But we did so and we finished ahead of our  
15 schedule, so we were all quite happy with that.

16 The topsoil borrow source, we found a site  
17 in Urbana, and again, we're hauling on that. It's  
18 finishing up as of today.

19 So that went well for us.

20 And we're in the process of doing some  
21 report writing.

22 There's an Operations, Maintenance and  
23 Monitoring Plan OM&M which we prepared another  
24 revision and provided that to the Air Force recently

1 for their review and comment.

2 And then once that comment is back, the  
3 provisions will be made and presented to the US EPA  
4 and IEPA for their review.

5 The next 60 to 90 days:

6 Again, button-up Landfill 1 and that will be  
7 done.

8 LCS stands for leachate collection system.

9 Landfill 2, as I said, we've pretty much got  
10 that graded out so that we can control drainage and  
11 make sure everything holds over okay until next  
12 spring.

13 And then the same thing for Landfill 3 is  
14 getting the seed down, the erosion matting and then  
15 that will be done as well.

16 Over the winter period, we'll have a small  
17 presence here on the site to make sure things are  
18 secure, so that we don't have any erosion issues that  
19 we have to take care of.

20 So there will be a nominal amount of  
21 security and maintenance over the winter, and then on  
22 some of the reporting activities that I mentioned.

23 Landfill 1, again, will be finished this  
24 year -- is finished.

1           The leachate collection system will be  
2 operable next year some time once the pumps are wired  
3 in and the approval for discharge is gained as I  
4 mentioned earlier.

5           Landfill 2, again, the cap construction will  
6 occur next year.

7           Landfill 3, the capping is done, and we're  
8 in the process of site restoration.

9           And the leachate at Landfill 3 also is  
10 anticipated to be complete next year.

11           All the components are pretty much in place  
12 except for the pipe to come out of the collection  
13 manhole and getting the pumps installed and so on.

14           The Northern Excavation Area, that's the  
15 area between Landfill 3 and Heritage Lake.

16           And there's an amount of backfilling that  
17 needs to needs to occur in that area yet.

18           And then Landfill 4, there still needs to be  
19 some sampling activities out there to design the size  
20 of the cap.

21           And then design a Work Plan, prepare it,  
22 submit it to IEPA and US EPA.

23           And then construction of that depending on  
24 how things go this next year, it may slide over into

1 2004.

2 MR. BRECHEEN: Just so everybody one knows,  
3 Landfill 4 is much larger construction than the Air  
4 Force had originally hoped for based on the some of  
5 the sampling results and the additional sampling  
6 that's required.

7 That has caused a delay in the construction  
8 of that cap, and that's why that cap is now projected  
9 for 2004 compared to the other caps in 2003.

10 The main goal was to cap the landfills that  
11 were closest to the debris before it can cause  
12 potential damage.

13 MR. WEBER: I have a series of photos.

14 This is a slide of pump installation  
15 activities at Landfill 1.

16 Around each of the landfills is a system of  
17 perforated pipes that will intercept any possible  
18 leachate buildup that's in the landfill so that all  
19 drains to the manhole at that cap, each of the three  
20 landfills.

21 This is Landfill 1. They've got a tripod  
22 set out on a pole lowering the pump components down  
23 into the manhole.

24 Seeding activities, using a seeder and seed

1 mix to get the seeds spread out on top of Landfill 1.

2 I believe there was a question put forward  
3 to Tim recently about what type of seed was used.

4 And this is what we did use:

5 We have two different seed mixes basically.

6 On the cap in general, we used a grass seed  
7 mix, which is an Illinois DOT mix with various  
8 Kentucky fescue, ryegrass, et cetera. Typical stuff.

9 We used seed oats applied everywhere when we  
10 planted Landfill 1 initially in August to help get  
11 some early germination for stability and also for  
12 protection.

13 And the planting we're doing now in the  
14 months of October and November, we're adding a cereal  
15 rye to that to get, again, some germination, just  
16 laying the seed for erosion control.

17 And then the grass is next spring, it will  
18 take over, and then the rye and the oats will  
19 basically die off.

20 Along the slope next to Perimeter Road at  
21 Landfill 1 and along the slope of I guess it's of 2800  
22 North Road, across the road from you, Eilene, a  
23 mixture of wildflowers and grasses was planted and  
24 will be planted.

1           And there's a long list of things like that.

2           MR. KOWALSKI: Is that on the south side of the  
3 road -- or north?

4           North, I guess it is.

5           MR. WEBER: It's just along the road, along  
6 Perimeter Road, and it would be along the road on 2800  
7 North also.

8           So it's just along the road, those slopes,  
9 but it extends quite a ways up, up the slope.

10          MR. KOWALSKI: Will you have a record of this  
11 some place in the file so in the future if we want to  
12 know what was planted --

13          MR. WEBER: Well, certainly.

14          MR. KOWALSKI: -- (continuing) and will it also  
15 include how you planted, the pounds per acre average?

16          MR. WEBER: There's what's called a CCR,  
17 Construction Completion Report.

18                 Each landfill project will have a massive  
19 report documenting everything that was done.

20                 And that information is in there.

21                 So are the application rates, the fertilizer  
22 mix that was used, basically everything you wanted to  
23 know.

24                 And if there's some specific questions that

1 you'd like to talk about after the meeting, I and Pat  
2 would be happy to sit down and talk to you about that.

3 MS. WIRGES: Will we have to worry anything about  
4 spraying, loose spraying, soybean or corn spraying  
5 that might skill those flowers?

6 MR. WEBER: Overspray, you mean?

7 MS. WIRGES: Right.

8 MR. WEBER: Well, if it's a broadleaf, it will  
9 definitely affect the wildflowers. Normally they're  
10 very careful not spraying on a windy day where you get  
11 a drift.

12 MS. WIRGES: But have you notified anyone that's  
13 spraying in the area that do you have the flowers or  
14 the grasses there to keep them from coming in to spray  
15 like they have for the beekeepers?

16 They have to notify the beekeepers when  
17 they're going to spray so they can protect them.

18 MR. WEBER: As far as what happens outside of the  
19 Landfill proper, there's no plans to have public  
20 notice or signs on the fence or anything like that.

21 The Operation Maintenance and Monitoring  
22 Plan will have details as to the, you know, frequency  
23 of mowing and things like that.

24 There is no weed spraying planned for any of

1 the grass or wildflowers.

2 It's basically planted and let mother nature  
3 take over other, than whatever mowing and whatever  
4 maintenance may be necessary, unless there's some  
5 erosion that needs to be patched up and things like  
6 that.

7 MS. WIRGES: Well, my concern was the outlying  
8 fields that might contribute to a loss.

9 MR. ADAMS: Tim, we'll notify our tenant farmer  
10 so that he's aware of it. It's beyond the boundaries  
11 of the City, but I don't know which is the one that  
12 could impact us the most. We will notify.

13 MS. WIRGES: Thank you.

14 MR. WEBER: Any other questions on the seeding?

15 (No audible response.)

16 MR. WEBER: Okay.

17 After the seed is put down, we apply a straw  
18 mulch and basically feed bales of straw through the  
19 machine and it grinds it up and then spits it out  
20 there in a stream.

21 Then they come along with a device that  
22 basically crimps the straw into the upper layer of the  
23 topsoil that really holds it in place, keeps the wind  
24 from picking it up, and the water from washing it



1 away. They do a very good job.

2 On the slope areas, we lay out this erosion  
3 matting which basically is straw in a cloth-type  
4 material - it comes in a roll - and it's laid out to  
5 do a more thorough job of erosion protection along the  
6 slopes.

7 And this would be the slope along  
8 Landfill 1.

9 We had a little get-together with our  
10 project people, the Air Force people. Unfortunately  
11 Chris and Gary were unable to make it that day, but we  
12 wanted to celebrate the fact that we had grass growing  
13 up on Landfill 1, so we finally finished a project.

14 So we're all very happy about that.

15 MR. KOWALSKI: Are you going to leave the flag  
16 up? I can see a flag from the road. I don't know  
17 where it's at.

18 MR. WEBER: It's up by the Landfill. It's still  
19 there. I mean, we move it around every now and then.  
20 It was at Landfill 3 for a while.

21 MR. ADAMS: It doesn't penetrate the cap, does  
22 it?

23 (Laughter.)

24 MR. WEBER: Again, I have a series of slides that

1 show some of the cap construction activities. These  
2 slides actually I showed last year.

3 These slides are Landfill 1 construction  
4 although they're applied to Landfill 3.

5 Again, every landfill has a perimeter  
6 leachate collection system which drains to a manhole.

7 And this is just a typical shot of the  
8 installation of that manhole.

9 The cover itself is 5 feet thick and it's  
10 composed of seven different layers.

11 The first layer is a foot of dirt, a foot of  
12 soil that goes over the waste to basically provide a  
13 relatively smooth surface to start from and a good  
14 bearing surface for our equipment.

15 After that, we have what we call the gas  
16 vent layer which is this right here, and I'll pass  
17 around so you can take a look at it.

18 So we've got the grading layer and then the  
19 gas vent layer.

20 The gas vent layer, it's three pieces:

21 It's two layers of cloth geo textile, heat  
22 bonded to a layer of drainage net.

23 And the idea is that any kind of landfill  
24 gas that might be in there would come up through, hit

1 this layer and then migrate laterally until it bisects  
2 the pipes that intersect the cap and then vent into  
3 the atmosphere.

4 So this is the first layer that goes on  
5 above this initial 1 foot grading area.

6 After that we put on 12 inches of compacted  
7 clay.

8 After the compacted clay, then we put on  
9 what we refer to as a flexible membrane liner.

10 And we use two different products for that.

11 We use a smooth FML; this is 60 mills thick.

12 And then on the slopes where we need a  
13 little more frictional resistance, we use a textured  
14 FML, and again, that provides greater stability for  
15 sliding.

16 I'll pass those around.

17 MR. KOWALSKI: Is that top stuff impervious to  
18 water?

19 MR. WEBER: The clay itself, we do testing of  
20 that to make sure that it is very water tight.

21 It's not impervious, but it's very water  
22 resistant.

23 And this black material here which is again  
24 the FML, that is essentially impervious.

1           The product itself is impervious for all  
2 practical purposes. The only place that you could  
3 have a leak in that is if there's a problem with a  
4 joint or an accidental puncture either during  
5 installation or in subsequent installation.

6           But there's a lot of testing done on this  
7 material, and that's why, as I said, the documentation  
8 reports are very thick with all that information.

9           And this is just a shot of the hole being  
10 drilled down through the clay to install the gas vent  
11 pipes that bisect that gas venting layer and allow the  
12 methane - if there is methane - to vent into the  
13 atmosphere.

14           Once those vents are installed in the hole,  
15 then this is closed back over, and the joints are  
16 seamed together.

17           MR. KOWALSKI: In other words, any water that  
18 falls, any rain that falls doesn't go through any of  
19 that?

20           MR. WEBER: Correct.

21           MR. KOWALSKI: Where does it go? The roadway?

22           MR. WEBER: I'll show you -- I think the next  
23 photo might show that.

24           But that's what I called the gas vent layer.

1 There's another layer of that on top of this.

2 So any rain that percolates down through the  
3 soil component, hits that, flows laterally to another  
4 collection trench around the outside.

5 And then that drains through a pipe into our  
6 retention pond. So it's all controlled and collected.

7 This is just a shot of the installation of  
8 the black flexible membrane layer and the seaming  
9 devices that are used, basically a heat-bonded seam on  
10 there.

11 And it just shows some of the rolls of  
12 product ready to be installed up on top there.

13 Around the outside is an anchor trench where  
14 all the geo-membrane layers are rolled down into and  
15 then this is backfilled.

16 That holds everything in place.

17 So again, the various layers are the 12  
18 inches of compacted clay, the FML on top of that, and  
19 then again a layer of this geonet material which is  
20 the same material as the gas vent layer underneath it.

21 This is just another shot of the anchor  
22 trench where everything comes down in.

23 And then any water - as you were asking  
24 about - might come down through the next layer of soil

1 would hit this drainage layer, come down into this  
2 anchor trench, and then this drainage pipe drains  
3 around to a storm water basin so that there's  
4 controlled discharge.

5 MR. FOTHERGILL: That pipe and the trench would  
6 be just like tiled pipe in fields, perforated holes on  
7 top and then solid on the bottom?

8 MR. WEBER: It's actually perforated all the way  
9 around.

10 MR. FOTHERGILL: Okay.

11 MR. WEBER: This pipe as well as the leachate  
12 collection system pipe that's inside the cap area that  
13 they had collecting leachate, that might be within the  
14 landfill mass. It's the same pipe, just different  
15 diameter.

16 MR. FOTHERGILL: So this carries the water away?

17 MR. WEBER: Correct.

18 Over top of the drainage layer, there's 30  
19 inches of soil placed, official soil placed.

20 We refer to that as the root zone.

21 Basically the root zone is for the topsoil  
22 and the vegetation.

23 And again, here's one of the gas vent pipes  
24 that poke up through the cap.

1           There's a seal placed around that pipe to  
2 maintain the integrity of the cap so you don't have a  
3 hole every third place you put one of your gas vents  
4 in. So that pretty much describes the cap  
5 construction activity.

6           This is a photo of our borrow source, the  
7 southeast retention basin, the Village borrow source,  
8 whatever you want to refer to it as.

9           This would be at the northeast corner  
10 looking west.

11           So, again as I mentioned earlier, we had an  
12 estimated 50 million gallons of water that accumulated  
13 in that basin since we stopped work last winter.

14           And we had a series of pumps, one here and  
15 one at the southeast corner that pumped that water  
16 out and discharged it to the Village storm system over  
17 a period of -- under three weeks to a month's time.

18           And the next slide shows a photo of what it  
19 looks likes as of a couple days ago.

20           In this photo, the excavation work is  
21 completed. This you see here is the erosion matting  
22 that was placed, and the seed is starting to poke up  
23 through that erosion matting.

24           And a photo today might actually show some

1 of that to be green instead of yellow.

2 It's amazing how much has changed in the  
3 matter of a few days.

4 Tim?

5 MR. BRECHEEN: I guess I just want to take a  
6 minute to break here.

7 You know, this is a huge accomplishment.

8 And we talked with the Village leadership  
9 about a celebration ceremony out at the pump.

10 We talked about doing it here late in the  
11 fall, but with the weather changes have decided to  
12 wait until spring time.

13 Because also around this retention pond is  
14 going to be a bike path and a park.

15 It's going to be a great area for the  
16 Village. So if it works out, I think maybe the  
17 take-home message of tonight -- you know, every time  
18 we meet we talk about projects and the steps that were  
19 taken.

20 This is the first RAB where we're able to  
21 say we've accomplished two major projects:

22 One is we completed the first landfill cap.

23 And as you can see, you don't just pile  
24 dirt.



1 I mean, it's a very prescribed, scientific,  
2 process that we've worked with the Agencies on and  
3 then went out and constructed.

4 And the second major project we completed is  
5 a win/win with the Village of Rantoul where we got  
6 soil much needed for the Landfills, and they were able  
7 to work that into a retention pond.

8 I think that's a huge accomplishment for  
9 everybody on the team and one that's taken many years,  
10 years of the RAB.

11 MR. ADAMS: You know, I don't know exactly what's  
12 been said but most people don't realize even the  
13 beginning steps it took to just acquire that property.

14 The Village has been trying to buy that for  
15 45 years. It took a long -- lot of negotiating, but  
16 we finally did.

17 And then even once we purchased the  
18 property, to make it happen and meet all the  
19 requirements and the soil you needed and to put all  
20 the pieces together.

21 You're right, I don't think most people  
22 really understand how much went into that and what  
23 kind of an accomplishment it is.

24 But I think it is an accomplishment with the

1 help of lots and lots of people.

2 I think it's going a long way in solving a  
3 problem for us.

4 Drainage-wise it's better out in that area  
5 than probably 50 years or more.

6 And before we're all done, it's going to  
7 solve some of the drainage problems.

8 The thing Tim didn't tell you is the reason  
9 that it's delayed is that next spring there will be  
10 water in there and he and the Air Force are going to  
11 go out and have a boat party out there.

12 It was a little cool this fall to so that  
13 so.

14 We still need Governmental cooperation.

15 MS. WIRGES: I though you were going to say that  
16 Tim is going to have the catfish for us to catch that  
17 day on catfish teams.

18 MR. ADAMS: We haven't even talked about stocking  
19 yet.

20 MR. BRECHEEN: ...if you're not very hungry.

21 And then, again, we owe an awful lot of  
22 things, too, to our predecessors.

23 I mean, Virlin Suits was a key part in  
24 building the foundation for this to happen.

1           And I think, too, the Air Force has  
2 committed over 20 million dollars to date - and more  
3 is coming - but to date, just on these types of  
4 projects:

5           Constructing Landfills, digging ponds and  
6 those types of efforts.

7           That's a big commitment from our Director in  
8 support of the community and clean-up in Rantoul.

9           But as we move closer to spring, we'd  
10 certainly like the RAB's input on the celebration and  
11 your participation in the development of that  
12 ceremony.

13           We're looking forward to that.

14           Before we go on, too, I know you need to go  
15 and, sir, you need to go soon, too.

16           Reed Berger, who we're all pleased is here  
17 with us, has filled out an application for membership,  
18 kind of officially. I guess just to make it official,  
19 we would like to welcome him and --

20           MR. ADAMS: You better check his references.

21           MR. BERGER: Don't check with him.

22           MR. KOWALSKI: Does he work for the Village?

23           MR. ADAMS: Yes, he took Ray Boudreaux's place.

24           MR. KOWALSKI: Yeah, I remember him.

1 MS. WIRGES: I have with Reed several times, and  
2 I have been very impressed.

3 And I appreciate the fact that he's a  
4 landscape architect along with all these other  
5 capabilities, and I several would move that he be  
6 accepted as a member of the Board.

7 MR. FOTHERGILL: Second.

8 MR. BRECHEEN: Thank you. All in favor say aye.

9 RAB MEMBERS: Aye.

10 (Whereupon Ms. Wirges left the  
11 meeting.)

12 MR. BRECHEEN: I'd like to introduce some of our  
13 members from a company called "URS."

14 They're another environmental consulting  
15 company that is top notch, world-class work.

16 And I want to introduce Steve Katz to tell  
17 us about their company.

18 MR. KATZ: This area here is affectionately known  
19 as Operable Unit 1 - it's kind of hard to see in that  
20 photo - that kind of covers the boundaries here,  
21 whereas this part of the base down here you have OU-2  
22 with the Landfills that we've already talked about.

23 We're been heading up the investigation work  
24 for looking into what's going on with the potential

1 sites here in Operable Unit 1.

2 Since the August 2,000 RAB, we've  
3 accomplished quite a bit.

4 The main thing is we completed the Draft  
5 OU-1 RI Work Plan and submitted it to the Agencies for  
6 their review.

7 This Plan goes through in great detail  
8 looking at each individual site, the history of the  
9 site, any previous investigations that have been done  
10 and goes through and documents what we think needs to  
11 happen as far as investigating any potential  
12 contamination out there.

13 As part of that effort, we field verified  
14 sample locations. We don't want to just be looking at  
15 a map and putting it down on a map and then getting  
16 out find out that there's some pavement there we can't  
17 get through.

18 So we go out there and make sure everything  
19 looks like it should be.

20 And also mostly, you know, looking for any  
21 kinds of signs for visual clues that might help us  
22 take the best samples from the best locations.

23 We began updating the Basewide Sampling  
24 Analysis Plan. This plan goes through in great detail

1 and talks about all the various field sampling methods  
2 for collecting the samplings, how to go through and do  
3 this kind of work, as far as all the analytical  
4 requirements.

5 You know, you want to make sure when you go  
6 out there, you send your samples to the lab, and you  
7 get the results back, that you picked the right  
8 methods and you're looking for the right analysis, and  
9 you're getting the right detention limit that you need  
10 to be able to see the concentration is down to the  
11 levels you're interested in.

12 Over the next 60 to 90 days, here's what we  
13 have planned. We're getting comments back from the  
14 Agencies on the RI Work Plan for Operable Unit 1, and  
15 we're going to be working with them and making sure  
16 they address their concerns, anything that we might  
17 have missed, and move that document forward.

18 And then hopefully we'll be sending the  
19 Draft Final Work Plan back to the Agencies.

20 So after we get the comments, we work out  
21 some of those issues and then we give the document  
22 back to make sure it's okay.

23 We're going to be doing some more records  
24 searching along with some site visits.

1           You might have noticed on the previous -- a  
2 couple slides ago, there were some sights that were in  
3 green whereas there were others in red, the red ones,  
4 we have some pretty good information on, enough to  
5 proceed with deciding where to go out and sample and  
6 do some investigation work.

7           The green sites, we have a little bit less  
8 information on, and we need to do more records search.

9           And some of these sites may or may not need  
10 to be looked at further, but we're going to determine  
11 that through more records searches.

12           MR. BRECHEEN: I think, Caryl, some of that was  
13 based on the conversations that we had with you and  
14 with some other folks identifying some of these  
15 additional assignments.

16           MR. KATZ: We also will be conducting our  
17 Pre-QAPP meeting where QAPP means Quality Assurance  
18 Performance Plans and so we'll be meeting with the  
19 Agencies, like I said it's set-up for December 3rd.

20           And we'll be submitting the draft updated  
21 Pre-QAPP to the Agencies for their review.

22           And I want to introduce Rob Lanter who's  
23 also with URS Company.

24           MR. LANTER: My slide looks a little smaller, but

1 it's not for lack of trying.

2 URS was contracted to do -- to submit I  
3 guess the OU-2 Basewide investigatory report.

4 And basically what we've done since being  
5 contracted is beginning the records search on all the  
6 OU-2 sites to gather all the information that is  
7 necessary to develop the Remedial Investigation Work  
8 Plan as we've discussed.

9 We are a little father behind than OU-1.  
10 They've developed that Draft Work Plan before the  
11 investigation.

12 We're at the beginning process.

13 We've done the initial records search and  
14 review of the sites out in Operable Unit-2, and we've  
15 also conducted the initial site recognizance.

16 MR. KOWALSKI: What's the acronym? O-U?

17 MR: Maybe Gary Schafer with the EPA can gives  
18 us a definition.

19 MR. SCHAFER: I'll try.

20 When we have large sites, we basically break  
21 them up into what we call operable units.

22 And there's nothing horribly scientific  
23 about it. Sometimes if we have a big site we might  
24 break things into operable units.



1                   It's just sort of how we manage our project.

2                   MR. KOWALSKI: It's just that I hate acronyms  
3 like that.

4                   MR. ADAMS: This is the wrong place to come.

5                   MR. LANTER: Getting back to our Plan for the  
6 next 60 to 90 days essentially we're going to complete  
7 the background records search and do some detailed  
8 site recognizance on each of these sites in the  
9 Operable Unit and develop the Draft Remedial  
10 Investigation Work Plan and submit to them Air Force,  
11 and from there to US EPA and IEPA.

12                  MR. KATZ: The way that the contract is set up,  
13 we have a contract for OU-1 and then we have a  
14 contract for OU-2 and then we have a contract for  
15 planned landfill work including some other things, and  
16 I'm the project manager for that as well.

17                  For the next six 60 to 90 days, just like  
18 the OU-2 we're just got awarded this award here in  
19 this packet in September so we're kind of gearing up  
20 here.

21                  We're going to be completing the background  
22 study for soils, air, water, surface water and  
23 sediment.

24                  We've already gotten the sampling done for

1 soil and groundwater.

2 We're going to be getting out hopefully next  
3 month or so and do the surface water and sediment  
4 sampling.

5 And the whole purpose of this is to and  
6 figure out what the backgrounds levels are primarily  
7 for metals so when we're taking samples here on base  
8 we can recognize what is an elevated level of any kind  
9 of metal out there.

10 And then we're going to be completing the  
11 plans to conduct soil delineation, capping and shaping  
12 out at the Landfill.

13 This is kind of getting beyond the caps, and  
14 looking and making sure that there's -- there's any  
15 kind of low level residual contamination outside the  
16 caps.

17 But the caps have already kind of covered  
18 everything that needs to be covered but we're now  
19 concerned with the low level stuff out there towards  
20 the edges.

21 MR. BRECHEEN: Thank you, Steve.

22 I'll cover the non-CERCLA.

23 This is storage tank work.

24 And as you can see, I mean, there's quite a

1 few tanks so there's quite a few activities that are  
2 taking place in various areas throughout the base.

3 When we go to the next slide, we've also  
4 upgraded the database and track.

5 There's over 100 different storage tanks  
6 that we're dealing with.

7 Our plan for the next few months is to work  
8 on some of the key buildings.

9 One of them you'll see up there on the north  
10 side of the base, formerly Building 125, used to be  
11 the museum, and before that fire truck maintenance.

12 It's now just a pad; it's got concrete piled  
13 up out there. And we will continue to do work at that  
14 building in front of the Highway 45 reroute project.

15 So you'll see some activity taking place  
16 the next few months out there.

17 MS. KOZAK: That's the mystery picture.

18 MR. BRECHEEN: This is actually a great picture.

19 It's on the west end of the Village of  
20 Rantoul pond. You can see on kind of the right-hand  
21 side of the picture, the white, that's actually the  
22 erosion matting on the slope.

23 And you can see the trees and the grass on  
24 that new west end. The grass already growing up.

1 Any questions?

2 MR. KOWALSKI: Do you have a website with Village  
3 information?

4 MR. BRECHEEN: We're looking into developing a  
5 website.

6 MR. KOWALSKI: I found some stuff that the EPA  
7 put on the web, but it was 1999 or something like  
8 that.

9 MR. BRECHEEN: We currently do not.

10 MR. SAHRE: The Agency does.

11 The Air Force Agency Conversion Agency has a  
12 website.

13 MR. KOWALSKI: And it covers the material that's  
14 happening here?

15 MR. BERGER: No, it's just general.

16 It doesn't go into specifics like this.  
17 And, Tim, we have a handout, and I'll get copies to  
18 you, it's two pages of acronyms that we use.

19 And I'll be happy to have that at the next  
20 RAB meeting so you can pass that out.

21 I have to refer to it constantly so --

22 MR. BRECHEEN: It's a reduced list.

23 Okay. I'll turn it over to Reed.

24 Reuse?

1 MR. BERGER: Well, I guess the most obvious one  
2 is our little problem we had.

3 If you go by building number, it's 826 out  
4 on Century Boulevard to the south of the airport.

5 And that is completely leveled, clean.

6 What's the term for when there's absolutely  
7 nothing there?

8 There's no contaminate -- clean. Just  
9 clean. I know there's an acronym for it somewhere.

10 Anyway, that is all looking good.

11 Unless I see anyone staring from the EPA  
12 side, we're good to go.

13 Now we want to sort of come back and look at  
14 the other two buildings south out of there.

15 They're obviously in the worse situation  
16 right now and take those down.

17 And so we're evaluating that; we're in the  
18 feasibility stage.

19 MR. KOWALSKI: Will you look at it from the point  
20 of view of just removing the whole thing without doing  
21 anything to the asbestos?

22 MR. ADAMS: No.

23 MR. SCHAEFER: No.

24 MR. KOWALSKI: Why not?

1 MR. ADAMS: No.

2 We'll look at the asbestos and do all the  
3 environmental things we need to do first.

4 MR. KOWALSKI: No, but what I'm saying is that  
5 maybe somebody could remove the building as an  
6 asbestos-contaminated building rather than going in  
7 first and taking the asbestos out and then take the  
8 building down.

9 MR. ADAMS: We'll try to do exactly --

10 MR. KOWALSKI: Whatever is the cheapest?

11 MR. BERGER: And so we're in the investigative  
12 stage right now, and we're also securing the area just  
13 because we don't want anybody hurting themselves in  
14 there.

15 So you may see we've already posted "No  
16 Trespassing" the other day, and we'll get parts of it  
17 closed up or fenced off; whatever it takes.

18 In terms of reuse or occupancy, I think  
19 we've been hovering somewhere around the 80 to 85  
20 percent of our square footage and space.

21 There hasn't been any major change in  
22 tenants other than in Building 3-- I shouldn't say  
23 building 3, Hangar 3 to whatever the building number  
24 is, but I don't want to confuse you.

1           It's the building that's directly -- the  
2 hangar that's directly across from where Cingular is,  
3 in that building. Bell is in there, and it has a lot  
4 of product, and we have some of their support  
5 companies in there.

6           This is what Gary has been doing while my  
7 position has been vacant, and so that really has been  
8 great for the Village to have another industry that's  
9 up and running in that building.

10           So that's been a major change.

11           And then we're looking at some other  
12 buildings in terms of office-type use that have not  
13 been used in the past.

14           Yeah, Poly Pro in terms of going back to the  
15 hangar, Poly Pro and Petooko(sp) are in there.

16           Those are generally supporting -- support  
17 for Bell, vendors for Bell. So that's all good news.

18           And so far no one has run off.

19           We moved a few people around a little bit,  
20 Poly Pro being one, because of the Veterans Parkway  
21 project.

22           So there are some buildings that are coming  
23 down or have come down, and you'll continue to see  
24 some changes there with some demolition.

1           But we're also from a strategic standpoint  
2 trying to look at what other buildings will come down  
3 and do not have any reuse possibilities, and that will  
4 be happening over this next several months.

5           That's pretty much it on my end.

6           Any questions?

7                         (No audible response.)

8           MR. BRECHEEN: Lorraine mentioned possibly having  
9 morning meetings.

10                         Any comments on it especially being the  
11 wintertime?

12                         Does that work with anyone else?

13           MR. FOTHERGILL: I get up around 7, so it can be  
14 at 8.

15           UNIDENTIFIED SPEAKER: I could do it.

16           MR. BRECHEEN: Okay.

17                         Well, when we approach that time, we'll send  
18 out notices.

19                         Is there any day of the week that is not  
20 good?

21                         Is it every Thursday?

22           MR. ADAMS: No, but if you had it at 8:30 or so  
23 that's probably all right.

24                         I don't care, I'll work my schedule around.



1 MR. KOWALSKI: You'll supply the doughnuts and  
2 coffee?

3 MR. FOTHERGILL: Well, in the spring, we'll be  
4 out on Tim's boat. The party barge.

5 HEARD AND TAKEN

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

C E R T I F I C A T E

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

I, H. Lori Bernardy, a Notary Public,  
 Certified Shorthand Reporter, do hereby certify that  
 on the said date, November 14th, 2002, the foregoing  
 RAB Meeting was taken down in shorthand by me and  
 afterwards reduced to typewritten form, and that the  
 foregoing transcript contains a true and accurate  
 transcription of all such shorthand notes.

I further certify that I am a disinterested  
 party to the proceedings herein, and that I am not a  
 relative of any of the parties hereto, or their  
 attorneys, that I am not in the employ of any of the  
 attorneys for the parties hereto, and am not otherwise  
 interested in the outcome of this cause of action.

In witness whereof, I have hereunto set my  
 hand affixed my seal this 22nd of November A.D., 2002.

*H. Lori Bernardy*  
 Notary Public and  
 Certified Shorthand Reporter

License No. 084-004126



**FINAL PAGE**

**ADMINISTRATIVE RECORD**

**FINAL PAGE**