



KELLY AFB  
TEXAS

---

ADMINISTRATIVE RECORD  
COVER SHEET

AR File Number 3401.1

1  
2  
3  
4  
5 TRANSCRIPTION OF AUDIO RECORDING  
6

7 RAB TECHNICAL SUBCOMMITTEE MEETING  
8

9  
10 MAY 13, 1997  
11

12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**ORIGINAL**

1 UNIDENTIFIED MALE: Will anybody be able  
2 to get a copy of this meeting?

3 UNIDENTIFIED MALE: You bet.

4 UNIDENTIFIED MALE: Thank you. Are you  
5 going to have it transcribed?

6 UNIDENTIFIED MALE: Yes.

7 UNIDENTIFIED MALE: All right, today we  
8 have three topics. I'm going to be talking about soil  
9 sampling at North Kelly Gardens and then there's going  
10 to be discussion about air monitoring at North Kelly  
11 Gardens, Zone 5.

12 Who will be doing that talking, Howard,  
13 and air monitoring?

14 UNIDENTIFIED MALE: Joe (Inaudible)  
15 research.

16 UNIDENTIFIED MALE: Joe, okay. And the  
17 other topic is going to be clean-up plans for Zone 3  
18 ground water, and the SAIC folks are going to be doing  
19 that.

20 I don't know if you guys have worked out  
21 a particular order but I don't know that it matters, so  
22 whichever one of you prefer to go first.

23 UNIDENTIFIED MALE: Air monitoring.

24 UNIDENTIFIED MALE: Great, that's fine.

25 UNIDENTIFIED MALE: Does everyone know

1 everyone here? Would you like to go around the room  
2 real quick?

3 UNIDENTIFIED MALE: That's a good idea.

4 UNIDENTIFIED MALE: I'm Mike  
5 (Inaudible). I work for Mr. Bailey. I'm a Deputy  
6 Environmental Manager.

7 UNIDENTIFIED MALE: I'm Vince  
8 (Inaudible). (Inaudible) and Program Manager for  
9 (Inaudible).

10 UNIDENTIFIED MALE: I'm Chuck  
11 (Inaudible). I work for the Air Force Base Convention  
12 Units.

13 UNIDENTIFIED MALE: Tom (Inaudible.)

14 UNIDENTIFIED MALE: (Inaudible).

15 UNIDENTIFIED MALE: Jerry (Inaudible).  
16 Zone 5 (Inaudible).

17 UNIDENTIFIED MALE: (Inaudible), Program  
18 Manager for our contract with Kelly.

19 UNIDENTIFIED MALE: (Inaudible).  
20 Citizen.

21 UNIDENTIFIED MALE: Tom (Inaudible) with  
22 CH2M Hill.

23 MR. SAXON: I'm Howard Saxon, the Senior  
24 Project Manager with CH2M Hill and managing the air  
25 study (Inaudible).

1 MR. STEED: David Steed with CH2M Hill.

2 Lead on the soil sampling of 1592.

3 UNIDENTIFIED MALE: John Brewer,  
4 Southwest Research, and we've been contracted to do the  
5 air survey at North Kelly Gardens.

6 UNIDENTIFIED FEMALE: (Inaudible), with  
7 the Environmental Protection Agency (Inaudible).

8 MR. JOHNSON: I'm David Johnson and I'm  
9 the representative for (Inaudible), representative for  
10 North Kelly Gardens.

11 UNIDENTIFIED MALE: I'm Jean  
12 (Inaudible). I'm (Inaudible).

13 MR. HOFFMAN: Gary Hoffman, citizen, I  
14 guess. (Inaudible).

15 UNIDENTIFIED MALE: I'm Mike (Inaudible.)  
16 I'm Director of Environmental Engineering at Southwest  
17 Research.

18 MR. RICE: George Rice. I'm a member of  
19 the RAB and I'm also the chairman of the technical  
20 committee of the RAB, which this is a meeting.

21 I hope that we can keep things pretty  
22 informal today and ask -- I hope, well at least while  
23 I'm up here, I hope people ask questions if they occur  
24 to them, as they occur to them.

25 I'll be pretty brief. Most of you know

1 the history of the soil sampling in the North Kelly  
2 Gardens area so I'm not going to repeat that.

3                   Then you also probably know that there's  
4 been some question as to whether some of the samplings  
5 have been reflected in fill or in native soils.

6                   Now the issue, I'm not going to address  
7 today, although people can bring it up if they want but  
8 I didn't plan on addressing it, was health issues and  
9 what is the significance of the lead concentrations that  
10 are found in the soils and that sort of thing.

11                  All I had intended to address today was  
12 this question of whether or not we're dealing with  
13 native soils or fills, and if you all remember my  
14 presentation at the last RAB meeting, in my opinion  
15 anyway, that has significant implications for hiding and  
16 interpreting data and, in fact, whether or not you can  
17 interpret the data in any meaningful way.

18                  So a couple of months ago, the Air Force  
19 took many samples out in the -- Let me just point it out  
20 on this map here. They took samples both on and off  
21 base here.

22                  The concerns that are of concern here are  
23 the ones that we're taking between the fence line and  
24 the North Kelly Garden neighborhood just north of Berman  
25 Road.

1                   At the last technical committee meeting,  
2 the Air Force presented a nice color map where it showed  
3 that all of the samples were new soil. At that point, I  
4 raised the question that probably some of them were  
5 fill, because we assumed this was, so what we did last  
6 Friday was we went out there and we actually dug next to  
7 the points where the Air Force had taken some of its  
8 samples, and in one place we went down over a foot, and  
9 I would just like to show you what we found there and  
10 invite you all to look at this stuff at your leisure,  
11 and you can make up your own minds as to whether you  
12 think this stuff is native soil, that is the stuff that  
13 was there when no one had to move it in, or whether it's  
14 fill, essentially stuff brought in in dump trucks.

15                  First, I'd like to show you a sample of  
16 what I call native soil. I think that this is the  
17 natural soil that occurs there. Here is a copy of like  
18 a soil at last for Bexar County. Earlier I told people  
19 that you all are welcome to make a copy of this  
20 information if you want. It will be here.

21                  UNIDENTIFIED MALE: Do you know what the  
22 date of that soil survey is?

23                  MR. RICE: This is old. This is from the  
24 '60s.

25                  UNIDENTIFIED MALE: Yes.

1                   MR. RICE: This is old. This soil here,  
2 and I'm not a soil expert but after reading the  
3 description and looking on a map, seeing what the map  
4 calls it, I think that the map is right. This is  
5 Lewisville silty clay, and when I dug it up, and those  
6 of you that saw me dig it up, it has a very nice sort of  
7 a firm texture.

8                   When you put your shovel in it, it  
9 doesn't run like sand or it doesn't stick like clay but  
10 it kind of comes out almost like a piece of cake and  
11 then you can take your hand and you can grab it and it  
12 will crumble in your hand like that.

13                  So here's native soil, and I think that  
14 most people would agree with me that this is the stuff  
15 that was originally there.

16                  Now I'll just go down these little plates  
17 here in no particular order, although I got (Inaudible)  
18 here.

19                  This is a sample from 1410, site 1410,  
20 and this is what the Air Force calls native soil, and  
21 it's not like the Lewisville, absolutely nothing like  
22 it, and I don't think it takes a soil scientist to come  
23 to the conclusion that this ain't the same stuff as what  
24 I just showed you.

25                  Well, you know, this is from 1509, from

1 two to six inches, and I believe that this was also  
2 called native soil. I have a question mark here but I  
3 think that you folks also call it native soil.

4                   Once again, I think if you look at this  
5 stuff, it's not nearly the big block that we got from  
6 1410, but to me, it's not similar to the Lewisville that  
7 I showed at the beginning as being native soil.

8                   Now last of all, I think there are a  
9 couple of interesting samples from a sample point 1505.

10                  According to the Air Force, at 1505,  
11 there's a foot of fill, and then below the fill, there's  
12 native soil, so at the suggestion of Norm, I dug a  
13 sample from two to six inches, what the Air Force calls  
14 fill, then Armando and I dug out a fairly large hole,  
15 and from 12 to 16 inches, we took a sample of the  
16 material that the Air Force calls native soil at the  
17 site.

18                  Now if you look at these two samples, I  
19 don't think, at least I can't tell the difference. I  
20 think what you got here, regardless of whether it's fill  
21 or native, these are two bags of the same stuff. I see  
22 no reason to call one fill and the other one native  
23 soil. Now perhaps a soil scientist could make a  
24 distinction between the two but I certainty can't.

25                  So wrapping this up, it's my contention

1 that in conducting this soil survey, the Air Force made  
2 a fundamental mistake, the Air Force and its  
3 contractors, and that mistake was that they did not go  
4 and identify clearly native soil so that they would know  
5 what native soil looked like so that when they were then  
6 collecting samples in the area just north of Berman  
7 Road, they would have some means for judging between the  
8 two things, because I think it's clear that the samples  
9 that we have here that the Air Force is calling native  
10 soil ain't native soil, at least not if you compare it  
11 to what I think most of us could agree is native soil.

12 I'll be happy to answer any questions.

13 Yes, Norm?

14 UNIDENTIFIED MALE: Yes, well, I'm going  
15 to present some arguments against what you stated, I  
16 guess.

17 MR. RICE: Sure.

18 UNIDENTIFIED MALE: For the sake of --

19 MR. RICE: By the way, I think that's a  
20 large part of the purpose of this committee is to bat  
21 these ideas around, so if you would like to come up  
22 here, feel free.

23 UNIDENTIFIED MALE: I can just do it from  
24 here, I guess.

25 A couple of things. The alleged release

1 of contaminated surface water into the neighborhood,  
2 when did that occur?

3 UNIDENTIFIED MALE: David could answer  
4 that better than I could.

5 UNIDENTIFIED MALE: That happened  
6 basically since I lived there. We moved there in about  
7 '65. At that point in time, Berman Road was not built  
8 up and we did not have the sewer system that's in place  
9 now. The sewer system wasn't put in till the '80s.

10 Berman Road, to my knowledge, has been  
11 filled up at least twice between the years of '65 to the  
12 early '80s or mid '80s, so a lot of that has been  
13 graded, removed, (Inaudible) and filled up. But even at  
14 that, with the basic topography of the general area,  
15 when you're standing in the North Kelly Gardens area,  
16 you'll see that it does actually flow downhill.

17 Prior to that, right there on the corner  
18 of Bank Street and I think that's Dolgreen, all of that  
19 and surrounding where the houses are built now, all of  
20 that used to flood all the way up to Berman Road and it  
21 would go down Berman Road to 36th Street, the same  
22 thing, everything that would flood, and especially when  
23 we received rains of anywhere up to three inches or  
24 better, with winds actually does drive it over.

25 UNIDENTIFIED MALE: Do you have any

1 photographs of that flooding that took place?

2 UNIDENTIFIED MALE: We're looking for  
3 that. I mean, it wasn't something that we kept a camera  
4 handy to take a shot of the flood, but any time we  
5 received substantial amounts of rain, it just depends on  
6 the frequency and how quick it would flood there.

7 UNIDENTIFIED MALE: Sure, okay.

8 UNIDENTIFIED MALE: What my point is, in  
9 terms of native versus non-native, and I'll just do that  
10 as the entire Kelly Gardens is built on fill. That was  
11 graded and filled. You could tell, when we ran the  
12 drainage way, the independent drainage way in two places  
13 here, (Inaudible) soil, and you just look out there,  
14 North Kelly Gardens is all elevated. It's honestly been  
15 built on some kind of fill. I mean, it sure wasn't  
16 built on so-called native soil. So when this explosion  
17 took place, I mean, this water was running over fill.

18 UNIDENTIFIED MALE: How far to the  
19 background --

20 UNIDENTIFIED MALE: Now the sample of  
21 native clay was in a drainage-way heavily vegetated and  
22 obviously very loamy topsoil and it's just not what is  
23 representative of what's in North Kelly Gardens or  
24 Berman Road.

25 UNIDENTIFIED MALE: So what is the point?

1 UNIDENTIFIED MALE: Well, if you recall  
2 my invitation to you on Friday, I said, "Let's go into  
3 the neighborhood with our shovels, go to the areas where  
4 we took our samples and let's dig there." And I think  
5 that you will agree with me when we do that, that the  
6 samples we get out of there are a whole lot more like  
7 what I'm calling native soil here than they are like  
8 what you're calling native soil, or what I'm calling  
9 fill.

10 UNIDENTIFIED MALE: Okay. Where does  
11 this term "Native soil" come from anyway?

12 UNIDENTIFIED MALE: I'll define that.

13 What we did, we sampled a 40 acre area, and out of 40  
14 acres, on the logs, the people logged what was the  
15 material that was sent in for analysis.

16 Basically over 40 acres, including this  
17 area in question, the primary description in the logs  
18 was black clay with rock, or it said something to the  
19 effect of fill, base material, asphalt, something like  
20 that.

21 So what the term became is people logging  
22 in the field, identified anything as fill that in their  
23 one inch diameter core that they sampled had any kind of  
24 asphalt, obvious road base, glass, things like that,  
25 were classified as fill because we knew that they

1 weren't, quote, native, but there wasn't any real  
2 description in the log of using the term native  
3 anywhere. It said black clay with rock.

4 Well, to differentiate and use things as  
5 it progressed in the risk assessment, people then turned  
6 and said, well, this black clay with rock that covers 40  
7 acres must be the quote, unquote, termed native soil as  
8 a reference to compare it to the other stuff with  
9 asphalt, rock, glass, whatever, so the name "Native" got  
10 stuck to those samples.

11 What is of issue is the primary material  
12 out there is a black clay with rock over the 40 acres,  
13 so that got slid in as native. Whether it's truly a  
14 native or a farm ground or native for a quarry or for  
15 whatever, because native means different things  
16 depending on who wants to log it and what they want to  
17 use for their basis, so the term "Native" stuck with  
18 black clay with rock because that was the predominant  
19 soil type or notation in the logs of what was seen over  
20 the entire 40 acres.

21 UNIDENTIFIED MALE: So are you saying,  
22 Dave, that what you called native or natural, like  
23 because of the word you used, may, in fact, be fill,  
24 you're not certain, is that what you're saying?

25 UNIDENTIFIED MALE: Yes, fill could be

1 anything. Fill could be the natural materials that were  
2 moved around and replaced back down in the same spot.

3 UNIDENTIFIED MALE: So I think we now  
4 agree, and I no longer have, you know -- If I understand  
5 you correctly, I think what you're saying is that the  
6 samples that you were calling natural --

7 UNIDENTIFIED MALE: No, no, no, nobody,  
8 nobody called them natural. The term "Native" got put  
9 to them because that was the predominant soil type.  
10 Nobody used the word "Natural."

11 UNIDENTIFIED MALE: Okay, excuse me. I  
12 thought that's the word you used. But regardless, I  
13 think of them as almost synonymous. But what you called  
14 native may, in fact, have been brought in from  
15 elsewhere. It's not necessarily the soil that was  
16 originally there before disturbed by man, is that  
17 correct?

18 UNIDENTIFIED MALE: The same as what  
19 happened at North Kelly Gardens. That's not natural and  
20 native either.

21 UNIDENTIFIED MALE: Well, that I don't  
22 know about.

23 UNIDENTIFIED MALE: And the other thing  
24 is on the background sample collection, so-called  
25 native, he saw chunks of asphalt just sitting right next

1 to your sample.

2 UNIDENTIFIED MALE: Yes.

3 UNIDENTIFIED MALE: Yes, (Inaudible).

4 UNIDENTIFIED FEMALE: I think there's a  
5 couple of points that I would like to make at the end  
6 here.

7 UNIDENTIFIED MALE: Sure.

8 UNIDENTIFIED FEMALE: It's regarding the  
9 importance of whether this is fill or native soil or  
10 whatever.

11 It's really important to us to verify if  
12 something is native soil, if you're trying to establish  
13 clean background. Don't take, you know, samples  
14 obviously from an area that was brought in from  
15 someplace else or obviously contained native, so we  
16 usually take the samples from the area that's clean, you  
17 know, from the native soil and usually run a complete  
18 scan. We don't want to see the organics showing up.

19 So that issue is so high, then what we  
20 look at and what we're concerned about is what are these  
21 exposure pathways and what are the concentrations for  
22 those exposure pathways. So I think the questions that  
23 we need to be asking ourselves now is regardless of what  
24 it is, it is what it is.

25 Now we have to look at led

1 concentrations, are they an issue. And a lot of the  
2 original samples were taken at zero to six inches, which  
3 would provide the normal surface exposure pathway. That  
4 would be an interval that we would be concerned with or  
5 the inhalation or ingestion. And then we got other  
6 samples that were taken, you know, between five feet.

7 We've got some other ones that were taken  
8 at one and a half to two feet. That would be, I guess,  
9 the later samples that were taken. So it's really more  
10 important, it's most important at this point to kind of  
11 reconstruct what are the exposure pathways, what are we  
12 trying to represent and do we actually have a health  
13 impact from those concentrations. If we do, we need to  
14 look into source control.

15 But from what I'm looking at here, you've  
16 got the samples that would be taken directly across --  
17 let's see -- (Inaudible) Drive, and those are taken at  
18 zero to six inches and those values are running 37, 22  
19 and 28.2, you know, 25, 16. And then you took five  
20 samples later that, or the Air Force did, at intervals  
21 of one and a half to two feet, and those are running  
22 18.6, you know, 20.4 and 18.5, which indicates to me,  
23 for that level of effort, that we don't have an issue  
24 with exposure from the surface and we're not sure it  
25 will increase with depth, which is what we would expect

1 from those concentrations.

2 Now at site S-5, where you have your  
3 higher values coming in, you've got a value of 17.65,  
4 you know, (Inaudible), which is showing at three to five  
5 feet. That's more of an indication of (Inaudible) at  
6 the site. That would not be a concern for surface  
7 exposure.

8 So we almost have to, at this point, to  
9 sort out what do we have, what does it mean to us and is  
10 there implications for doing source control on base.

11 UNIDENTIFIED MALE: Yes. And I agree  
12 with all your points but I think there's two additional  
13 points that I'm concerned about, although as a new job  
14 at TPA, may not matter to you.

15 One is can the sampling that was  
16 performed detect contamination events? Can they help us  
17 delineate pathways? And I think the answer to that is  
18 no, they can not.

19 UNIDENTIFIED MALE: We disagree with  
20 that.

21 UNIDENTIFIED MALE: Okay. So I guess  
22 that's my main point; can they be used to delineate a  
23 pathway?

24 UNIDENTIFIED FEMALE: The other thing to  
25 consider is also is if you're concerned about run-off,

1 metal is usually concentrated in the upper six to twelve  
2 inches.

3 UNIDENTIFIED MALE: Yes, I agree.

4 UNIDENTIFIED FEMALE: And with the kind  
5 of soil types you have here, you're not going to move,  
6 you know, vertically, so you're not going to see an  
7 increase with depth unless you have some of the things  
8 going on like, you know, solvents being disturbed,  
9 higher pH.

10 UNIDENTIFIED MALE: Or unless the  
11 contaminants were buried at a later date, which may well  
12 have happened here. And the scenario for that is the  
13 contaminant washes --

14 UNIDENTIFIED FEMALE: (Inaudible) though  
15 because how deep would they have to be buried and what  
16 would be the exposure pathway to do that?

17 UNIDENTIFIED MALE: Well, here's a  
18 scenario. Let me take two minutes to draw it out.  
19 Suppose we have a flood occur and that the pathway does,  
20 in fact, exist, that this material washes into the  
21 neighborhood and deposits led ground deep. Then some  
22 years later, fill gets put down over that soil horizon  
23 which led was deposited and then some years later, more  
24 fill gets put down over that soil horizon, which is the  
25 type of event we know occurred just north of Berman Road

1 area, because I've only been looking at that area for  
2 about a year and I've seen that happen. David has seen  
3 it often. So if you were then to go take your soil  
4 sample from the first six inches, hoping to detect that  
5 event that occurred some number of years ago but is now  
6 perhaps buried two feet down, you wouldn't detect it.

7 UNIDENTIFIED FEMALE: Well, I think you  
8 would have to be (Inaudible) too, in that you're also  
9 adding fill also in the neighborhood too because you  
10 would not expect, if you had run-off from the base, you  
11 would expect to see that with the zero to six inch  
12 samples because it's probably not going to go any deeper  
13 than that.

14 UNIDENTIFIED MALE: I think we did see  
15 that, absolutely.

16 UNIDENTIFIED FEMALE: Well, not at very  
17 high concentrations. I'm looking at, you know, 37, 22,  
18 28, and the highest sample you had was 65.

19 UNIDENTIFIED MALE: That's right. And  
20 the statistically determined background level that the  
21 Air Force calls background is 23 or 24.

22 Now to me, that says concentrations of  
23 led in the neighborhood were elevated by some mechanism.

24 UNIDENTIFIED MALE: Unless background  
25 samples collected of the unaffected area on base is a

1 different scenario. Plus all the values in the  
2 neighborhood are below health effects.

3 UNIDENTIFIED MALE: Well, I'm not, you  
4 know, arguing about health effects. You can see  
5 Dr. Dolin. The other night she had a very good talk  
6 about the health effects of low levels of many different  
7 things.

8 UNIDENTIFIED FEMALE: Well, the other  
9 point to consider also is where was the highest  
10 concentration of the sample that you took? And if I  
11 recall, it was the one that was the farthest away from  
12 the base, is that right?

13 UNIDENTIFIED MALE: That's right.

14 UNIDENTIFIED FEMALE: It was near  
15 (Inaudible) Roadway.

16 UNIDENTIFIED MALE: That's right.

17 UNIDENTIFIED FEMALE: Which is what you  
18 would expect. You would expect higher concentrations,  
19 you know, near a roadway. So when you start moving back  
20 into the neighborhood, you're seeing again low  
21 concentrations in your attracted area to base  
22 background. You're looking at very, very low levels.

23 You've got a number of different sources  
24 for led. You're not seeing elevated concentrations. It  
25 would be very tough to try to separate what is just, you

1 know, led concentrations near a roadway versus trying to  
2 actually, you know, delineate a source. I think it's  
3 going to be very tough.

4 UNIDENTIFIED MALE: I don't disagree with  
5 that.

6 UNIDENTIFIED FEMALE: And what we would  
7 fall back on too is we look at a screening level for  
8 residential areas as 400, which is really significantly  
9 higher. The TNRCC has an actual level of 500.

10 UNIDENTIFIED MALE: I understand, I  
11 understand. And as I said in the past, there's more  
12 than health issues here. There's the issue of does the  
13 pathway exist, which I think is quite important.

14 Anyway, I've had my say and if there  
15 aren't any more questions -- I'm sorry, I didn't mean to  
16 interrupt you.

17 UNIDENTIFIED FEMALE: I think if you did  
18 have a pathway, I think you would see residual  
19 concentrations and I don't think we're seeing that, or  
20 what we're seeing is, you know, basically a background  
21 of just above.

22 UNIDENTIFIED MALE: Or at least a pattern  
23 of elevated levels going into the concentrated in some  
24 direction --

25 UNIDENTIFIED MALE: I would say the

1 reason we don't see that pattern is because it's been  
2 disturbed by the placement of fill. We have not sampled  
3 the proper samples. We don't know what the proper  
4 samples are any longer because of the fill.

5 Yes?

6 UNIDENTIFIED MALE: Well, when they  
7 talked about fill being brought in there, the first  
8 thing you got to know is what kind of compacting did  
9 they have on that fill. And then if there were several  
10 different fills, you can delineate that with a cut of  
11 that soil over top of it. That's going to be there. I  
12 don't care if it was 50 years ago, 200 years ago, that  
13 fill will still delineated. Different fill, if they put  
14 it in one time, that's it.

15 UNIDENTIFIED MALE: Yes.

16 UNIDENTIFIED MALE: And when you dig that  
17 hole, you don't see that. I don't really follow what  
18 we're talking about.

19 UNIDENTIFIED FEMALE: Well, I think we're  
20 actually talking about several different issues here.  
21 And I just what I'm wondering --

22 UNIDENTIFIED MALE: I'm having trouble  
23 tying them together.

24 UNIDENTIFIED FEMALE: Yes, I understand.  
25 Let me ask you this. If we look at a point by point, do

1 we still have the information here that would indicate  
2 which one of these, you know, sample points are actually  
3 from fill and which ones were from native soil?

4 UNIDENTIFIED MALE: Yes.

5 UNIDENTIFIED FEMALE: Can we go ahead and  
6 pull that right now?

7 UNIDENTIFIED MALE: Sure.

8 UNIDENTIFIED FEMALE: Because I think  
9 until we do that, we're going to be, you know, talking  
10 about this issue for a long time.

11 See, for example, 1504, 1505, 1404,  
12 1405.

13 UNIDENTIFIED MALE: May I make a  
14 statement here just to make sure that we're all on the  
15 same page?

16 Right now, the CH2M Hill says that none  
17 of the samples that it collected are necessarily natural  
18 soil or native soil, whatever you want to call it. All  
19 of them may have been brought in from somewhere else.  
20 They may be fill. That's my understanding.

21 UNIDENTIFIED MALE: They may be --

22 UNIDENTIFIED MALE: Or they may be  
23 native, yes.

24 UNIDENTIFIED MALE: Well, even if it were  
25 natural soil, if they went in there and started up and

1 just like you go in and stood on red clay the whole  
2 time, go in there and turn the soil and mix the clay  
3 with the sand on top and make it a sandy loam. So if  
4 they done something like that, you know, and then  
5 compacted it, they run rollers over it, they might have  
6 got it to where it's like concrete.

7 UNIDENTIFIED MALE: There's documentation  
8 that there has been traffic on that area outside the  
9 base. It was used as a staging area.

10 UNIDENTIFIED MALE: Those are the things  
11 that have to be determined before you can -- I mean,  
12 we're talking about the wrong thing, I think.

13 UNIDENTIFIED MALE: Well, I don't think  
14 this is necessarily an impossible task to take all these  
15 out --

16 UNIDENTIFIED MALE: I know, but we're  
17 approaching it the wrong way, I think.

18 UNIDENTIFIED MALE: But I think in order  
19 to have data that you could interpret meaningfully here,  
20 you have to do an extremely detailed study of those  
21 soils and, like you said, look at where those breaks  
22 are, this level of fill, this level of fill, and test  
23 them as individual samples and analyze them.

24 UNIDENTIFIED MALE: Now for that, we did  
25 the supplemental sampling. We went into areas that had

1 been designated to have the constituents that labeled it  
2 fill and we went back after that for supplemental  
3 samples. They were the one to two foot. And if you  
4 look closely at that, there were 12 of them. Most of  
5 them in that area right around where the RAB members or  
6 people that were present at the first sampling said  
7 run-off would have occurred. And in those samples, we  
8 again cored and found a range of some sort of  
9 demarcation to whoever was drilling the course out  
10 there, a hydrogeologist, there was some demarcation in  
11 there, ranging from a half a foot down to a foot and a  
12 half down. That's where we collected the supplemental  
13 soil samples. They were collected, and from whatever  
14 that demarcation was down to a maximum of two feet,  
15 because that's what's used in driving risk assessments,  
16 and multiple cores may have been required to get the  
17 total volume needed. The analyses was re-run. And to  
18 my recollection, in all cases, those second samples had  
19 at or lower led values than those marked as containing  
20 some sort of fill at the surface.

21 UNIDENTIFIED MALE: I think that's  
22 correct in almost all. I think there may be a couple.

23 UNIDENTIFIED MALE: Well, another thing  
24 happened there. Whenever this supposed flood came and  
25 the led was moved around, if there was vegetation on

1 that soil at that time, that covering of vegetation,  
2 grass, whatever, it would have been bored (Inaudible)  
3 into the sub-soil and other things. If they would have  
4 packed the ground, chances are (Inaudible). It stayed  
5 pretty well on the surface of wherever the surface was  
6 at that time.

7 I know there's a lot of questions based  
8 on what you all are talking about that were not  
9 answered, not approached.

10 UNIDENTIFIED MALE: Well, let me say  
11 something here. First of all, there were two issues  
12 that we were going to put on the agenda today. We were  
13 just handed this one.

14 The issue, the two questions, getting  
15 back to your point, Sam, the first one is does the data  
16 that's been collected -- First of all, the neighbors in  
17 the area said we have a health problem. We believe that  
18 the health problem may be caused by exposures to led and  
19 a couple other contaminants. So Kelly then went out and  
20 their contractors took samples. We have a contract and  
21 then oversight by another contractor, to take a look at  
22 to see are there led concentrations or other  
23 contaminants in the area, that based upon the  
24 concentrations found, would these concentrations pose a  
25 health problem to the local residents. That question

1 was asked. The answer that has come back, the  
2 preliminary answer, and preliminary meaning we don't  
3 have the final report that's come back. The answer is  
4 no.

5                   The next question that is now coming  
6 about is could there be a pathway. Even though there  
7 may not be a health problem, is there a pathway that is  
8 being shown by this data, called the data sets, is there  
9 a pathway that shows that in the case of what we're  
10 talking about here, led, that came from Kelly Air Force  
11 Base and actually went out into the community?

12                  The information that we collected, not we  
13 Kelly, but by the contractors, indicates that there is  
14 no pattern to this such that there's no belief that the  
15 led came from here and was disbursed out there.

16                  A supplemental question came in from  
17 various people saying you've got jet fuel storage tanks  
18 over there. You had led stored in those tanks. We've  
19 gone back to talk to the vendors that have provided the  
20 fuel and the vendors for the current JP8's, the vendors  
21 for the JP4 -- the JP4 was stored in these tanks prior  
22 to what is stored there now -- and provided data that  
23 said we did not use led in the fuel, nor was it used as  
24 an additive to the fuel coming into Kelly Air Force  
25 Base, so what we've done is to provide this information

1 to the public.

2                   What we are now, what has occurred,  
3 there's a letter that Mr. Breohouse (?) wrote to  
4 Mr. Rice, dated a couple weeks ago, and I believe you  
5 got a copy, and it basically says we've been through the  
6 sampling, we've collected our data, we submitted it for  
7 scientific review to the regulator, Ms. Scuny and her  
8 counterparts at EPA, and Gary Byers and his counterparts  
9 at the state. If there's something inconsistent with  
10 this that we need to know about it, please let us know,  
11 but until the final report comes out, we're not going to  
12 go back out there and collect more samples because of  
13 what the information shows.

14                   So those are the specific questions as we  
15 see them and those are the answers that we provided  
16 today.

17                   UNIDENTIFIED MALE: Okay. Camille, did  
18 you want to go through those things on a point by point  
19 basis?

20                   UNIDENTIFIED FEMALE: Well, it would be  
21 best, I guess, that we wait till the final report is out  
22 and then go over all the information.

23                   UNIDENTIFIED MALE: Okay. In that case,  
24 I'll just wrap up now and just say that regarding my  
25 main points today, that what was collected out there is

1 probably not native soil or natural soil. That's  
2 probably fill. I think that CH2M Hill and I are in  
3 agreement, that these samples do not represent natural  
4 or native soil. They represent something that was  
5 brought in from elsewhere.

6 UNIDENTIFIED MALE: No, I have to contest  
7 that.

8 UNIDENTIFIED MALE: No, that's not  
9 correct.

10 UNIDENTIFIED MALE: Okay, then please  
11 correct me. Please correct me. What do they  
12 represent?

13 UNIDENTIFIED MALE: They represent the  
14 soils most commonly out there. Or no, they actually  
15 represent the soils that are out there now, over the 40  
16 acre area. I mean, they represent what is there. It's  
17 a black clay with rock, it's most common. There are  
18 areas with materials in there that include asphalt, base  
19 course, et cetera.

20 The materials, in some places, have been  
21 driven over. A lot of people out there park their cars,  
22 and a true determination of whether they are a natural  
23 occurring soil or a native soil can't be determined.  
24 They may or may not be. They may have been reworked.  
25 It's obvious that through building the subdivision and

1 the work out there, that everything out there at some  
2 point has been disturbed.

3 UNIDENTIFIED MALE: Okay, I still think  
4 we're in agreement. The soil samples that were  
5 collected may or may not be a native soil. It's  
6 difficult to tell. I contend they're virtually all  
7 fill, but we're certainly much closer now than I thought  
8 we would be when the meeting started.

9 UNIDENTIFIED MALE: It's also  
10 representative of what would have been there when this  
11 flooding took place.

12 UNIDENTIFIED MALE: You don't know that.

13 UNIDENTIFIED MALE: What is to say it  
14 wasn't?

15 UNIDENTIFIED MALE: Wait, wait, wait.  
16 We're not going to get into a debate here.

17 UNIDENTIFIED MALE: Yes. Okay, so  
18 that's, I guess, the end of the first part, and Joe  
19 Brewer from Southwest is going to tell us about air  
20 monitoring plans in the same area, North Kelly Garden  
21 area. Joe.

22 MR. BREWER: I made some copies of the  
23 view graphs -- unfortunately didn't make enough, so I'm  
24 just going to put them on the table here. I can get  
25 some more if somebody really wants them.

1                   Well, I'd like to start out by saying  
2 this presentation was prepared originally for the public  
3 meeting, so please, if there are any questions, go ahead  
4 and interrupt. I don't know if it's going to carry the  
5 detail that you need here.

6                   This slide gives us an idea of the  
7 program status currently and the yellow line represents  
8 where we are currently. We've looked at the chemistry  
9 of the JP-8 fuel stored at 1592 and we have also looked  
10 at analytical and collect methodology for conducting  
11 ambient air surveys in the 1592 area as well as North  
12 Kelly Gardens.

13                  The remaining tasks are to look at the  
14 actual release point, 1592, measure JP-8 constituents in  
15 the North Kelly Gardens area and then evaluate the  
16 community risks associated with those JP-8 constituents.

17                  UNIDENTIFIED MALE: Joe, 1592, are those  
18 the tanks?

19                  MR. BREWER: Yes. When I refer to 1592,  
20 I'm talking about the whole storage complex, including  
21 distribution points, valving, piping, tanks, the whole  
22 nine yards.

23                  UNIDENTIFIED MALE: Okay.

24                  MR. BREWER: The goals of the overall  
25 program is to measure the fugitive emissions from 1592

1 and specifically look at sub systems within the site,  
2 the storage tanks, the leaks from the floating pans into  
3 the atmosphere, distribution systems, valving, pumping,  
4 specific operations within the system and north 1592  
5 area as a whole.

6                   We use that data to locate and determine  
7 sampling procedures for the neighborhood, North Kelly  
8 Gardens, and we'll collect samples there and then we'll  
9 use those numbers to evaluate the community health  
10 risks.

11                  When we looked at JP-8, I'm sure all of  
12 you know that JP-8 is a multi component compound similar  
13 to JP-4 and kerosene, with one major difference. The  
14 compounds in JP-8 are skewed more to the heavier  
15 constituents and as a result, your head space  
16 concentration or the airborne component of JP-8 is a  
17 much lower concentration than you had seen in JP-4 or  
18 kerosene.

19                  The one point that I want to mention is  
20 that the vapor compounds or components in the head space  
21 that are associated with risks are present in JP-8,  
22 they are at lower concentrations. And one specific  
23 compound is benzene, which we're concerned with right  
24 now.

25                  A lot of people don't find benzene in

1 bulk analysis of JP-8, but in the head space analysis,  
2 there are trace levels of benzene.

3                   We selected NIOSH Method 1550, which  
4 employs a charcoal collection and carbon disulfide  
5 desorption of the samples in order to look at the  
6 hydrocarbons in ambient air.

7                   A technique was needed to differentiate  
8 those components associated with JP-8 from the ambient  
9 background concentration so we selected four indicator  
10 compounds, Methylcyclohexane, Nonane, Decane and Octane,  
11 to be indicative of the JP-8 component in the ambient  
12 hydrocarbon background, and we're going to use those  
13 four indicator compounds in the samples ratioed back to  
14 the original JP-8 head space concentration to get an  
15 idea of what contribution JP-8 has to the overall  
16 ambient hydrocarbon data.

17                   UNIDENTIFIED MALE: Joe, I guess those  
18 are the most volatile or maybe the most common?

19                   MR. BREWER: No, actually they're the  
20 most indicative of JP-8 and some of them aren't very  
21 volatile. For example, Decane and Nonane are fairly  
22 substantial compounds, which in JP-4 are at much lower  
23 concentrations than something like benzene but they're a  
24 major components in JP-8 head space.

25                   UNIDENTIFIED MALE: Basically air

1 sampling?

2 MR. BREWER: Yes.

3 UNIDENTIFIED MALE: What kind of control  
4 was used? When you're talking about this JP-8, what  
5 kind of a natural control did you use to compare it with  
6 led?

7 MR. BREWER: What, sir?

8 UNIDENTIFIED MALE: To differentiate from  
9 the ambient?

10 UNIDENTIFIED MALE: Yes. What do you use  
11 that to compare that to?

12 UNIDENTIFIED MALE: To differentiate it  
13 from the ambient hydrocarbon background, these four  
14 indicator compounds aren't prevalent to a great extent  
15 in background hydrocarbon concentrations.

16 UNIDENTIFIED MALE: You're talking about  
17 air, clean air?

18 UNIDENTIFIED MALE: Yes, sir.

19 UNIDENTIFIED MALE: They're not common in  
20 gasoline, for example?

21 MR. BREWER: Well, they are in gasoline  
22 but not to the extent they are in JP-8. And using this  
23 mechanism, hopefully because there's a unique ratio that  
24 those compounds have in JP-8 head space, we'll be able  
25 to differentiate --

1                   UNIDENTIFIED MALE: Now when you say head  
2 space, what are you talking about?

3                   MR. BREWER: The space above a liquid  
4 pool of JP-8, so you have say a storage tank and you  
5 change the level --

6                   UNIDENTIFIED MALE: That's the head  
7 space?

8                   MR. BREWER: Right. And there's going to  
9 be a concentration of these compounds in that head  
10 space.

11                  UNIDENTIFIED MALE: In other words,  
12 you're not talking about like air in this room, you're  
13 talking about --

14                  MR. BREWER: You have an ambient  
15 hydrocarbon background in this room.

16                  UNIDENTIFIED MALE: Okay. And what kind  
17 of a situation do you have that's native that this  
18 information can be compared to?

19                  MR. BREWER: We're going to collect  
20 background information at the time of sampling. We're  
21 not going to use historical data.

22                  UNIDENTIFIED MALE: Well, we'd like to  
23 get that in an open (Inaudible).

24                  MR. BREWER: We're going to collect  
25 background data in North Kelly Gardens at the time of

1 the survey.

2 UNIDENTIFIED MALE: I mean, are you going  
3 to get far enough way to where none of this will be  
4 effected?

5 MR. BREWER: No, sir. The object of the  
6 game is to determine what component of that background  
7 hydrocarbon is associated with 1592. In order to do  
8 that, you have to get in the same area, not in the plume  
9 but in the same area.

10 UNIDENTIFIED MALE: Upwind.

11 MR. BREWER: I've got a map. We'll get  
12 to that and maybe that will help us out a little bit.

13 UNIDENTIFIED FEMALE: The four indicator  
14 compounds again were?

15 MR. BREWER: Methylcyclohexane, which is  
16 the most volatile of the four, Decane, Octane and  
17 Nonane.

18 UNIDENTIFIED MALE: Joe, why aren't you  
19 choosing the most volatile or the most likely to escape  
20 components? It seems to me if you were trying to detect  
21 an emission, you would want the things that are most  
22 readily omitted.

23 MR. BREWER: Well, there's a fine line.  
24 Methylcyclohexane is fairly volatile. The problem with  
25 the very live end hydrocarbons is they're everywhere and

1 it makes it more difficult to say yes, this amount of  
2 JP-8 is present and so you pick something that is unique  
3 to JP-8.

4 UNIDENTIFIED MALE: Since you're going  
5 this route, is it possible that there will be emissions  
6 at some level that you just won't detect because of the  
7 indicator compounds?

8 MR. BREWER: There's a detection level,  
9 yes.

10 UNIDENTIFIED MALE: I think we don't want  
11 to confuse the fact that we're sampling everything that  
12 we can see. However, because JP-8, there's no such  
13 thing as JP-8. I mean, it's a collection of things that  
14 is distillery range. The refinery makes it. It starts  
15 at one temperature --

16 (Tape cut off. End of Side 1.)

17 (Beginning of Side 2.)

18 UNIDENTIFIED MALE: (Continuing) -- the  
19 carbons above it, it would be almost impossible to tell  
20 the difference unless you looked at very carefully the  
21 distribution of those different types of compounds that  
22 make it up, because gasoline is more volatile. It has  
23 compounds that evaporate easy so they're much more  
24 lighter compounds, if you will.

25 So the JP-8 has a little bit heavier

1 compounds in it so, you know, they're more distributed  
2 that way, so to try to calculate back to what JP-8 will  
3 evaporate, you've got to use some indicator compounds,  
4 and so we'll use these four indicator compounds, which  
5 have no health relevance at all. I mean, they're just  
6 indicators of JP-8 itself, and then we can back  
7 calculate to the amount of JP-8 that actually leaves the  
8 tank or the pump or during the transfer.

9 Now during the sampling, we'll be looking  
10 for those compounds in addition to those that have  
11 health relevance. You know, things like the toluenes  
12 and the benzines and so forth like that, which really  
13 are required to do the health risk.

14 But as Joe points out, because this is an  
15 urban environment, people use gasoline, people use other  
16 solvents and there's other industrial operations, many  
17 of these compounds are ubiquitous in our atmosphere, so  
18 to avoid, you know, associating those if they're in the  
19 background with the actual operation of this fuel  
20 storage transfer operation, we'll collect samples upwind  
21 that we'll say okay, this is what the wind has in it,  
22 the clean air, and I hate to use the word clean air in  
23 San Antonio in this industrial environment but the air  
24 that is not associated with the JP-8, we'll use that as  
25 a background and say okay, as it goes by the storage

1 facility now, it will pick up some level of these  
2 hydrocarbons that are from JP-8 and we'll try to tell  
3 the difference that is, you know, the increase in  
4 concentration that's seen as, you know, things are  
5 volatilized out of the operation.

6 UNIDENTIFIED MALE: What will the control  
7 mechanism be?

8 MR. BREWER: Let me get to some plots  
9 here. Let me get to some maps here, and basically I'll  
10 go through 90 percent of this. But anyway, so we have a  
11 mechanism to calculate JP-8 related emission.

12 Additionally, as Mike said, we have to  
13 look at certain individual compounds such as benzene and  
14 toluene that are associated with risks on their own as  
15 individual components, and that will be collected also  
16 using this charcoal procedure.

17 To do the fugitive or system 1592  
18 releases and to characterize that, we're going to use  
19 point monitoring and area monitoring to look  
20 specifically at all distribution points, all individual  
21 operations within the facility and the tank leak  
22 points. That's going to be the first step. And in  
23 doing that, that's going to give us a release amount  
24 from system 1592, and we're going to take that amount,  
25 model it into the neighborhood to establish our

1 locations in the neighborhood.

2 Now we have to be careful in doing this  
3 because most fugitive studies are done over the course  
4 of years so you incorporate environmental conditional  
5 changes, you incorporate operational changes.

6 The other way to do this is to develop a  
7 worse case situation at the site so you do a  
8 conservative estimate of release, and the release  
9 technique we have chosen, so we have established worse  
10 case operating conditions for 1592, which will allow us  
11 to use the single event and say this is representative  
12 of any possible scenario that can occur at 1592, and  
13 that worse case event must be reasonable as far as the  
14 operation.

15 You can't do like they did up in Austin  
16 and say, well, right now we're going to assume every  
17 valve in the place is leaking and all the trucks have  
18 turned over and that's going to be our maximum possible  
19 release. Well, that's not being realistic.

20 We have selected an increased rate and  
21 frequency of truck filling and emptying of about eight  
22 fold as our worse case and we have also gone in and  
23 evaluated the optimum environmental conditions to give  
24 us the highest concentration down wind in the  
25 neighborhood, and those environmental conditions are

1 very low wind speed and elevated ambient temperature  
2 that have the biggest impact on down wind concentration.

3 So when we do any of this sampling, we're  
4 going to be looking at this worse case operating  
5 condition and have environmental conditions that are  
6 conducive to elevated concentrations.

7 UNIDENTIFIED MALE: I don't think I'm  
8 following you, Joe. Are you actually going to conduct  
9 these worse case conditions out there when you collect  
10 your samples?

11 MR. BREWER: Well, with as much influence  
12 as I have over the ambient temperature and wind speed,  
13 yes. We're going to line up trucks.

14 UNIDENTIFIED MALE: So there will be  
15 physical things out there, this is not just a  
16 mathematical study?

17 MR. BREWER: No.

18 UNIDENTIFIED MALE: You'll pump gas and  
19 do all that stuff?

20 MR. BREWER: They're going to line up  
21 trucks to have a continuous through-put of trucks at  
22 basically double. The rate is going to be doubled.  
23 We're going to fill them and cycle two trucks instead of  
24 one and we're going to do it continuously over the  
25 event.

1 UNIDENTIFIED MALE: Now when you say  
2 ambient temperature, are you talking about soil  
3 temperature, air temperature?

4 MR. BREWER: Air, ambient temperature.

5 UNIDENTIFIED MALE: Do you consider the  
6 soil temperature in your study?

7 MR. BREWER: I have a summary slide.  
8 This study is to look at current JP-8 handling and  
9 storage operations as to that impact on the  
10 neighborhood, we're not going to look at deposition,  
11 we're not going to look at stuff coming up from the  
12 soil. We're going to look at JP-8 associated risks and  
13 that's it.

14 UNIDENTIFIED MALE: (Inaudible) that soil  
15 temperature on your air temperature?

16 MR. BREWER: It will be covered in the  
17 ambient temperature, yes, sir. We only need to take  
18 measurements of the storage temperature in the tanks and  
19 then the ambient temperature in the environment, because  
20 what ambient temperature increases drive is the amount  
21 or concentrations of these hydrocarbons that are in the  
22 head space above the fuel. The higher the temperature,  
23 the higher the concentration in that vapor. So soil  
24 temperature really doesn't enter into it, other than it  
25 heats up the tanks to some extent.

1 UNIDENTIFIED MALE: And with the worse  
2 case scenario, we'll be able to measure the maximum  
3 possible emissions, look at the worse possible air  
4 effects on North Kelly and allow the maximum health  
5 risks to be predicted.

6 UNIDENTIFIED MALE: I'll get to the  
7 maps.

8 MR. BREWER: Once we have this release  
9 rate at 1592, we're going to model that concentration  
10 into the neighborhood to assure that the techniques we  
11 use in the neighborhood will give us adequate  
12 sensitivity and allow us to select the proper location  
13 to measure the plume from 1592.

14 Just for an example, we did an estimate  
15 using a two truck fill system, where we calculated the  
16 release rate from filling two trucks at a time over one  
17 hour and these are the resulting airborne concentrations  
18 that we modeled to 600 meters out from system 1592. And  
19 you can see here the normal production rate, which is  
20 currently what goes on at the site, and our worse case  
21 scenario that we're going to sample under, and you can  
22 see the difference in concentration. It's about eight  
23 fold.

24 And just for information, the property  
25 line is at 130 meters, the neighborhood starts at about

1 150 meters from the site. The number that we'll use in  
2 this instance is the TNRCC screening limit over one hour  
3 of a thousand micrograms per cubic meter, and we'll get  
4 into those numbers in a second.

5                   The Effectuated Screening Limit or the ESL  
6 which we're going to use to see if we're in criteria or  
7 not or to see if we have a problem is based on many  
8 other things besides health risks. Specifically odor,  
9 ventilation effects and corrosion.

10                  For example, hydrogen sulfide, you can  
11 perceive that compound at a level much below anything  
12 that would cause a health risk. Well, that's kind of  
13 like the ESL's. They're based on things other than  
14 health effects.

15                  The important thing is that we must be  
16 able to measure the compounds at the ESL, and therefore  
17 our background concentrations must be statistically  
18 valid to a point where we can differentiate the ESL in  
19 our sample from the general background in the area. And  
20 at these very low concentrations, that's extremely  
21 difficult to do so we're going to put an emphasis on  
22 background concentration monitoring.

23                  UNIDENTIFIED MALE: Your ESL's, are they  
24 the same as your detection limits?

25                  MR. BREWER: No, no, some of them are for

1 some compounds, but that's our point in saying we're  
2 going to model this stuff to assure that our method will  
3 give us the sensitivity that we need.

4 UNIDENTIFIED MALE: So you'll attempt to  
5 be as sensitive as you can in detecting these things?

6 MR. BREWER: Right.

7 UNIDENTIFIED MALE: One point needs to be  
8 made on that ground. Those concentrations were as  
9 JP-8's, and it's a funny number because even though, as  
10 JP-8's, you may be measuring only a few parts per  
11 million of the material, but when you back calculate  
12 that to JP-8, it becomes small. That's just the way the  
13 method is set up, because you actually calibrate with  
14 pure JP-8, you know, itself, but then you start looking  
15 at volatile components in there and they're much  
16 different, so you've got to -- it's a funny way of  
17 looking at what an ESL is based on, because it's based  
18 on total JP-8.

19 MR. BREWER: Now there are ESL's for  
20 specific compounds as well, and to kind of get at what  
21 you were referring to, at 260 micrograms per cubic  
22 meter, the individual compounds, be that toluene,  
23 benzene, xylene, whatever, are down two orders of  
24 magnitude below that. So our method has to get down  
25 that low to see it, so yes, we are on the bottom end.

1 UNIDENTIFIED MALE: But we're going to be  
2 able to adjust that through extended run times and flow  
3 rates to make sure we have adequate sensitivity.

4 MR. BREWER: But once we model the thing  
5 out, this is a plot of what a south south-westerly wind  
6 would plot out to as far as sampling locations, and bear  
7 in mind we're not establishing a grid across the entire  
8 neighborhood. The sampling approach is going to be to  
9 set up a perimeter, if you will, to define the plume of  
10 airborne release. So what we want to be able to do is  
11 see an increase along this center line, which is down  
12 wind, compared to background samples collected in this  
13 area.

14 So to define the plume, we're going to  
15 take four center line distances, as you can see there,  
16 and two distances at 300 meters, and on the property  
17 line, we're going to extend laterally to ten percent of  
18 the center line concentration and a half percent of the  
19 center line concentration, and that's a standard  
20 practice to define plumes that way.

21 UNIDENTIFIED MALE: I'd like to point out  
22 that those little dots there are where the sampling will  
23 be.

24 UNIDENTIFIED MALE: But that's my  
25 question. How mobile are these samples? I mean, if the

1 wind shifts, do you move your sampling location?

2                   MR. BREWER: No, you establish your  
3 conditions in the morning. If you have environmental  
4 changes and wind shifts and all that, the duration of  
5 this event is not going to allow us to shift and you'll  
6 have to make a decision whether you want to repeat it or  
7 use that data.

8                   UNIDENTIFIED MALE: Will you have a  
9 little weather station set up?

10                  MR. BREWER: Yes, we will. This will be  
11 plotted the morning of the test so we'll actually site  
12 the locations an hour before the test.

13                  UNIDENTIFIED MALE: When you're doing  
14 your background, there is no monitor south of the actual  
15 physical complex that would --

16                  MR. BREWER: Yes, I was going to get to  
17 that. You see here we have eight additional background  
18 samples. That will probably be more like fifteen, of  
19 which three are located upwind of 1592, one at 50  
20 meters, and to separate, there's a parking area below  
21 this, and I want to separate that so we'll go upwind of  
22 that parking area as well.

23                  There's going to be three or four samples  
24 in this area to get background contributions from Berman  
25 Road. General McMullin, which runs down here, will have

1 two set up probably in the neighborhood over here, in  
2 order to establish the background and hopefully get some  
3 kind of increase in concentration along this line so we  
4 can define a plume. But as you can see from the  
5 previous slides, the level is extremely low.

6 UNIDENTIFIED MALE: Also will humidity be  
7 taken into consideration with this? Because that also  
8 determines the volatility of specific compounds and  
9 whether they stay in heavier concentrations or lighter  
10 concentrations in conjunction with the ambient  
11 temperature.

12 MR. BREWER: It's my understanding, and  
13 somebody correct me if I'm wrong, that the temperature  
14 of the fuel in storage is the primary motivator, if you  
15 will, of head space concentration.

16 Now when you push that out into the  
17 ambient air, high moisture contents and things like that  
18 will allow migration on the droplets of moisture, but  
19 then you get deposition.

20 UNIDENTIFIED MALE: Primarily these are  
21 very what you would call hydrophobic compounds. They  
22 don't like water. If you add something like an alcohol,  
23 you would be absolutely right, in the fact that they  
24 are, you know, water soluble and they would have an  
25 effect on the evaporation, but these are very

1 hydrophobic, you know, gasoline type compounds that  
2 shouldn't be effected.

3 MR. BREWER: So to answer your question,  
4 the moisture content at the source, not that it really  
5 doesn't play a part, once you get out into the  
6 environment, the method that we're using will collect  
7 anything that is there, so as long as it doesn't effect  
8 the actual transport mechanism, which my understanding  
9 it won't, we shouldn't have a problem with that.

10 We looked at ceiling height, wind speed,  
11 wind direction, wind speed, ambient temperature. There  
12 were a couple of other conditions that we looked at.  
13 Mixing height.

14 UNIDENTIFIED MALE: The only reason I  
15 bring that up is because the information that we  
16 received from Dr. (Inaudible) and the other internal  
17 medicine doctors is that the worse case scenario for  
18 ingestion is actually through a high cubic content and I  
19 don't think you're going to get any opposition to what  
20 the volatility in the plume rows of the JP-8.

21 But I guess the other question is, using  
22 this particular model, going back to associated pathways  
23 and what not to include this, because we're the ones who  
24 gave the original wind rows, would these calculations  
25 also be made to do comparisons versus JP-4, JP-7,

1 considering the chemical weight, volatility, the whole  
2 nine yards?

3 MR. BREWER: They can be, but the  
4 importance --

5 UNIDENTIFIED MALE: Are there  
6 calculations that can be done so that calculations would  
7 show -- (Inaudible).

8 MR. BREWER: Well, that's a fairly tall  
9 order to do.

10 UNIDENTIFIED MALE: I mean, the point is  
11 we don't even know what's going to happen in the defined  
12 plume.

13 MR. BREWER: Yes --

14 UNIDENTIFIED MALE: I guess what you're  
15 doing is defining the tests to see whether or not it's  
16 actually something that would really, really be --

17 UNIDENTIFIED MALE: We're coming to grips  
18 to see if we're even going to measure anything out there  
19 because these measures are low. The only release point  
20 of significance is the filling of transfer trucks. The  
21 tanks are scrubbed, they have floating pans, so you've  
22 got very few leak points in that system.

23 Now we're going to look at JP-8 and you  
24 can extrapolate things based on historical data to JP-7,  
25 JP-4, whatever you'd like to do. The difference being

1 that we're not going to use any historical data in this  
2 study. It's all going to be measured data.

3                           MR. BREWER: And when we go to evaluate  
4 risks, there's two primary standard areas that we're  
5 going to use, the ESL from TNRCC and those compounds  
6 which have reference doses through EPA. So the  
7 individual components, if there's a (Inaudible)  
8 referenced to us or one of the other ones, the east  
9 table, those can be used to calculate the risks. And  
10 the TNRCC ESL's are nothing more than a ratio of  
11 concentration which we look at.

12                          UNIDENTIFIED MALE: Cumulative effects  
13 can be obtained simply through summing the individual  
14 components.

15                          UNIDENTIFIED MALE: Joe, could you just  
16 give an overview of exhaustive research that Southwest  
17 did in developing protocols and methodology?

18                          MR. BREWER: For the analytical?

19                          UNIDENTIFIED MALE: For this effort.

20                          MR. BREWER: The one thing -- Well, I'm  
21 not sure in doing the risk calculations, we haven't  
22 really used --

23                          UNIDENTIFIED MALE: I'm just talking  
24 about the sampling protocols and all that.

25                          MR. BREWER: The sampling method

1 selection was based on MDL studies, detection limits  
2 studies and some rigorous spiking routines that we did  
3 back in the laboratory to assure ourselves that we had  
4 the sensitivity to see something like benzene at three  
5 parts per billion in the ambient air under these  
6 conditions, and that was part of that second tasking  
7 block in the entry slide.

8 Charcoal, the NIOSH 1550 method is  
9 accepted throughout the industry as an ambient air  
10 sampling method for the NIOSH and workplace people. We  
11 didn't know if it could be applied to this condition  
12 under elevated collection flow rates and extended run  
13 times so we had to do a series of spikes to make sure  
14 that we had retention of the compounds on the charcoal  
15 and then the extraction procedure gave us adequate  
16 recovery.

17 UNIDENTIFIED MALE: Do you think this  
18 method you're going to use is the most sensitive that's  
19 practical to use out here?

20 MR. BREWER: Well, I think it's the only  
21 method we can use because charcoal is comprehensive to  
22 all of the components, all of the hydrocarbon components  
23 there are there.

24 If you get into things like Tenex or  
25 Chromasorb or other types of collection media, you

1 really skew yourself to either the very light end  
2 compounds or the heavier compounds. Most importantly,  
3 charcoal doesn't present an inherent hydrocarbon  
4 background that you get with a lot of the other resins.  
5 Resins that are polymer in origin, plastic beads or  
6 whatever, contribute, when you go to extract them, they  
7 release hydrocarbon components so you get cross  
8 contamination. You don't have that problem with  
9 charcoal.

10 UNIDENTIFIED MALE: So there are more  
11 sensitive techniques but you don't think they're  
12 appropriate?

13 MR. BREWER: No. The technique, the  
14 sensitivity is going to be obtained in the  
15 instrumentation, not necessarily the collection method.  
16 We have established that the collection method will  
17 retain and recover everything we put to it at the  
18 sampling conditions.

19 The next step is to select the analytical  
20 instrumentation that gives you the greatest  
21 sensitivity.

22 UNIDENTIFIED MALE: I see.

23 MR. BREWER: For the JP-8 itself, JP-8 as  
24 a whole, we're going to use GC mass spectrometry. We'll  
25 probably have to go to a technique called selected ion

1 monitoring for the higher risk components like benzene  
2 and some of the xylenes and other components that are in  
3 JP-8, so the analytical techniques are as sensitive as  
4 available. And we additionally have high resolution  
5 mass spec if we need it.

6 UNIDENTIFIED MALE: And your collection  
7 method will collect virtually anything acidic?

8 MR. BREWER: That's why we selected  
9 charcoal, yes, sir.

10 UNIDENTIFIED MALE: Got you. Thank you.

11 UNIDENTIFIED FEMALE: I think you  
12 probably answered the question that I had. Earlier, I  
13 guess you mentioned that some compounds, the ESL  
14 detection limits. Are those any compounds that have a  
15 risk?

16 UNIDENTIFIED MALE: Yes, benzene  
17 specifically. And this is the whole reason for modeling  
18 this stuff first before we site the locations, because  
19 we have to assure ourselves that we can sample the  
20 background and get a background number that will allow  
21 us to tell the difference between background and low  
22 parts per billion for these individual components like  
23 benzene, and we have to get a statistically valid number  
24 that says yes, you do have the detection limit to  
25 differentiate three parts per billion or five parts per

1 billion.

2                   UNIDENTIFIED MALE: The real problem here  
3 is when you look at actual urban atmospheres for like  
4 benzene, they range from like ten to a hundred, and yet  
5 the limit that supposedly you're supposed to release is  
6 three, so you're trying to see a very small difference  
7 in a large background. And you know, statistically,  
8 that's very difficult unless you take hundreds of  
9 samples and, you know, this study is not of the scope or  
10 the money is not available to do these large samples, so  
11 what we're trying to do is try to maximize everything  
12 possible to see the greatest difference that this  
13 operation has.

14                  If we can't see anything over, you know,  
15 background, which naturally varies; you know, the wind  
16 changes and it heats up in the day and you have to  
17 sample over sufficient period of time to get enough  
18 sample, you know, to get enough material in that  
19 absorbent that you can analyze. We're going to be  
20 pushing the limit.

21                  MR. BREWER: The thing, in summary, the  
22 goal of this study is to assess JP-8 fueling operations,  
23 current JP-8 fueling operations, the impact on North  
24 Kelly Gardens. It's complicated by high background, as  
25 we've been discussing, and then we have to assure

1 ourselves that our measured values will be distinguished  
2 from that background.

3                   A good example is the background we  
4 measured at Southwest Research doing the method  
5 development studies was around ten micrograms per cubic  
6 meter. The ESL for benzene is three. So what that says  
7 is you've to be able to statistically say that ten is  
8 different from three, and that's the problem we're up  
9 against.

10                  UNIDENTIFIED MALE: What other conditions  
11 will effect the weather conditions themselves? Do you  
12 have a sliding scale also for barometric pressure or do  
13 you have consideration for barometric pressures?

14                  MR. BREWER: As far as calculating the  
15 risk, I'm not familiar with the calculation techniques.  
16 As far as the environmental parameters we're sampling,  
17 we're going to look at relative humidity, barometric  
18 pressure on the hour. I think barometric pressure is  
19 reported every 15 seconds and the average is given to  
20 you whoever you want it.

21                  Relative humidity, we're going to have to  
22 measure manually, but yes, it will be recorded, and if  
23 it's called for in the risk calculations, then we'll  
24 certainly use it.

25                  UNIDENTIFIED MALE: Two questions.

1 You're going to do this worse case scenario of actually  
2 pumping gas or JP-4. Will you simulate a spill?

3 MR. BREWER: What we're going to simulate  
4 is the normal operating conditions at system 1592.

5 UNIDENTIFIED MALE: You know, it seems to  
6 me that worse case would incorporate some kind of a  
7 spill, since spills occur.

8 MR. BREWER: We're looking at the  
9 operating system at 1592, and although you may have  
10 spills, that would qualify as an emergency situation,  
11 and I would think that if you did have a spill, the  
12 response would be immediate to recover from that  
13 situation, and there's really no way to go in and  
14 purposely determine what a spill is going to do.

15 UNIDENTIFIED MALE: I guess then we're  
16 really not talking about a worse case but we're talking  
17 about a worse case when accidents don't occur?

18 MR. BREWER: No, I said worse case  
19 operating conditions, operating.

20 UNIDENTIFIED MALE: Yes.

21 UNIDENTIFIED MALE: Basically this is,  
22 when you do a health risk assessment, then is an  
23 emergency or an accident situation, you're basically  
24 trying to look at is there a potential that the  
25 operation would have an impact on the community and

1 based on the emissions. So obviously that's a  
2 calculation of what you do. You take the situation and  
3 be able to predict over a long period of time whether or  
4 not you accumulate it.

5 UNIDENTIFIED MALE: Yes, sir?

6 UNIDENTIFIED MALE: I think I understand  
7 most of what you said, talking about a specific facility  
8 and its potential impact. There must be some reason why  
9 we're even looking into it. Have there been complaints  
10 or has there been some demonstrated -- because that's  
11 what I don't -- that drives the need to do this?

12 Regardless of where the source is, there's a problem.

13 MR. BREWER: What I tried to emphasize,  
14 and hopefully I did, is we're going to look at current  
15 conditions, normal operating conditions associated to  
16 JP-8 or effects relative to JP-8, which the release  
17 rates and the model concentration, and the whole  
18 assessment can be backed up to look at JP-4, whatever  
19 you'd like to look at, but you're going to have to use  
20 historical data to do that.

21 UNIDENTIFIED MALE: Will the residents be  
22 notified some days of ahead of when the sampling will be  
23 done?

24 MR. BREWER: Well, there's actually going  
25 to be two events. We're going to do the fugitive study

1 with system 1592 first, and that will probably be  
2 conducted along Berman Road outside of the property  
3 boundary. We'll have a facility there. And then I'm  
4 estimating a couple of weeks and then we would be in the  
5 neighborhood.

6 UNIDENTIFIED MALE: Uh-huh.

7 MR. BREWER: So I would probably look to  
8 our client to notify the residents.

9 UNIDENTIFIED MALE: Will you plan on  
10 doing that, Larry, notifying the residents?

11 UNIDENTIFIED MALE: Absolutely, just like  
12 we done the soil sampling and the other thing. You bet  
13 you.

14 UNIDENTIFIED MALE: And my last question  
15 is how much will this cost?

16 MR. BREWER: Ask the people who pay the  
17 bill.

18 UNIDENTIFIED MALE: It costs a lot of  
19 money.

20 UNIDENTIFIED MALE: Do you have a rough  
21 idea?

22 UNIDENTIFIED MALE: We can get you a  
23 range.

24 UNIDENTIFIED MALE: Could you have an  
25 estimate at the next RAB meeting?

1 UNIDENTIFIED MALE: Sure.  
2 UNIDENTIFIED MALE: Thank you.  
3 UNIDENTIFIED MALE: I'll give you a range  
4 of what we're doing, because it could be this, it could  
5 be that. But I think that's an important point, and  
6 it's an important point to, while the people in the  
7 community, some of whom, you know, obviously are saying  
8 that the problems are coming from Kelly, you know, the  
9 studies that are being conducted now are very thorough.  
10 There's more than just a party who's looking at them.  
11 There's Southwest Research and others. I think that's  
12 important. We're going to start to make sure that the  
13 information that we get out to the community, that they  
14 understand that there are multiple parties that are  
15 looking at this.

16 We're not going into the cost with  
17 specific members of the community unless asked because  
18 then we'll give them a range. The key is there are  
19 people out there that have said we have definite health  
20 problems and we think that some of them are, in fact,  
21 being caused by Kelly Air Force Base.

22 So once again, the soil -- back to your  
23 question, sir -- the soil sampling was directed at that  
24 concern. The air sampling is also directed that  
25 concern.

1 UNIDENTIFIED MALE: Okay, thanks.

2 MR. BREWER: One thing I would like to  
3 interject is there is a test plan that will be finalized  
4 before we do the sampling, which will probably explain  
5 things in much greater detail than I did.

6 UNIDENTIFIED MALE: Will we have access,  
7 will we be able to look at the test plan beforehand?

8 UNIDENTIFIED MALE: We'll do it the same  
9 that we did the soil sampling, by going out and talking  
10 about the points and --

11 UNIDENTIFIED MALE: Yes, that was very  
12 well done, when we sat down and looked at the sampling  
13 points, yes, that's a great model to use.

14 Thanks, that was a great presentation,  
15 Joe.

16 UNIDENTIFIED MALE: Pardon me, if I could  
17 make a quick comment.

18 UNIDENTIFIED MALE: Yes.

19 UNIDENTIFIED MALE: Since their  
20 presentation is complete, I'm not saying that you have  
21 to leave, but if you want to leave --

22 UNIDENTIFIED MALE: Or you can stick  
23 around.

24 UNIDENTIFIED MALE: Can we just have a  
25 break for about five minutes?

1 UNIDENTIFIED MALE: I was going to ask,  
2 folks, if they prefer, we have an hour and a half and  
3 we've done two out of three. It looks like people are  
4 voting for a break.

5 UNIDENTIFIED FEMALE: Five minutes.

6 UNIDENTIFIED MALE: Yes.

7 (Break taken.)

8 UNIDENTIFIED MALE: Okay, let's get  
9 started. SAIC is going to talk about plans for cleaning  
10 up Zone 3, in particular, Quintana Road neighborhood,  
11 and I'm very happy to see the SAIC folks here because  
12 this is a meeting we've been asking for for going on a  
13 year now and I'm glad it is final here. So thank you  
14 and turn it over to Bob.

15 UNIDENTIFIED MALE: Everybody should have  
16 the hand-out that I'm basically going to go through page  
17 by page. With respect to drawings, I'm going to  
18 utilize, because of the graphics that's available here  
19 locally, I'm going to utilize that particular drawing  
20 over there to show and locate where it is the areas that  
21 I've been speaking in terms of.

22 What I'm proposing to do is obviously  
23 address and present those areas or those locations that  
24 were proposed and accepted as the RODS for the ground  
25 water remediation systems in Zone 3, and so what we are,

1 in fact, doing is obviously following that particular  
2 ROD. And then I'd like to give you a current update or  
3 a status of where we stand currently with respect to the  
4 initiation of working into the installation of those  
5 particular systems.

6 UNIDENTIFIED MALE: I'm going to ask a  
7 question about the acronym. What is a ROD?

8 UNIDENTIFIED MALE: Record of Decision.

9 UNIDENTIFIED MALE: Okay.

10 UNIDENTIFIED MALE: In other words, it's  
11 gone through the process of being regulatory approved.

12 UNIDENTIFIED MALE: I just didn't know  
13 what a ROD was. Thank you.

14 UNIDENTIFIED MALE: All right. And at  
15 the end -- yes, I'm going to utilize this. That's the  
16 Zone 3 graphics and so that's the area that we're  
17 talking about.

18 What I have here as well, for purposes of  
19 being able to demonstrate, this is the particular  
20 drawing or the graphic that's come out of the actual  
21 normal document that says these are the preferred  
22 alternatives and this is what has been accepted as far  
23 as the ROD. So I want to use this. Obviously that's  
24 not what's on that particular drawing but what we've got  
25 here is obviously the site.

1                   With respect to that particular document  
2 and the ROD, these are the particular locations that  
3 were identified within Zone 3 for remediation.

4                   With respect to this particular drawing  
5 over here, this site here is MP. It's the solid plating  
6 facility at the Berman Road/Tinker Road intersection.  
7 If you were to take Tinker straight down into Berman  
8 Road, what is left of the vacant lot or parking area, to  
9 the left as you get to Berman Road, site S-8, if you  
10 were to go down to the same location and turn to the  
11 right, you come to what was known as one time as the  
12 (Inaudible) facility, and that's known as S-8. S-4 was  
13 the location of where, in fact, fuel was encountered  
14 during the process of the city's excavation of a storm  
15 sewer system down in the Quintana Road area.

16                  In the process of activation, fuel filled  
17 that area, and as a result, there was a particular fuel  
18 plume that they had to deal with as far as cleaning it  
19 up.

20                  The other location is site S-6, which is  
21 up in this particular area, you know, proposed park in  
22 the center of the maintenance complex of the base. And  
23 those are the principle areas.

24                  And then with respect to the preferred  
25 alternative, as you would look at it, there's another

1 proposed, for lack of a better term, I didn't know what  
2 else to call it other than Union Pacific Railroad  
3 Recovery System.

4 Within that particular plan, it was  
5 presented that there would be a capture system installed  
6 to address this particular plume area out in this  
7 particular area, just outside near the railroad plume,  
8 the UPRR location.

9 UNIDENTIFIED MALE: Bob, I want to say  
10 something.

11 UNIDENTIFIED MALE: Yes, sir.

12 UNIDENTIFIED MALE: I don't want to, you  
13 know, discourage you from talking about any of this  
14 stuff you had planned talking about, but those of us who  
15 requested this, we were almost entirely interested in  
16 the Quintana Road neighborhood area. Now certainly if  
17 people are interested in other things, you know, talk  
18 about it, but it might make things go faster, if it's  
19 agreeable to you and everyone else here, to essentially  
20 focus on Quintana Road.

21 UNIDENTIFIED MALE: I think you would be  
22 cheating yourselves. As the RAB, you have a job, and  
23 that is to look at the remedial systems that are being  
24 planned or look at the contaminants that we're trying to  
25 address here and then evaluate the remedial systems that

1 are available and help provide the input to the  
2 process. That regards to the whole base, no focus  
3 areas, not spot spots necessarily, all the remedial  
4 systems, and tonight we're focusing on Zone 3.

5 UNIDENTIFIED MALE: Yes, what we're doing  
6 is focusing specific to Zone 3. That's what we were  
7 asked to present and that's what we are, in fact,  
8 presenting.

9 UNIDENTIFIED MALE: Okay.

10 UNIDENTIFIED MALE: Now about Quintana  
11 Road, you're talking about the UPRR areas?

12 UNIDENTIFIED MALE: Where are you  
13 addressing? Are you addressing down here?

14 UNIDENTIFIED MALE: Yes. It's  
15 essentially the contaminant plume in the neighborhood  
16 that extends something like so.

17 UNIDENTIFIED MALE: Okay.

18 UNIDENTIFIED MALE: Yes, we, in fact, are  
19 not proposing to discuss anything with that particular  
20 area, other than the fact that what we're dealing with  
21 is the preferred alternative is basically this  
22 particular system that was installed out here. As a  
23 part of our tasking, we're optimizing that particular  
24 system to allow that system to work efficiently or more  
25 efficiently than what it currently is, but as far as

1 doing anything to address the plume out in here, we, as  
2 a part of our tasking, are not dealing with that.

3 UNIDENTIFIED MALE: Well, I guess there's  
4 some crossed wires here. Our request went through the  
5 Air Force and to you and it didn't get transmitted the  
6 way I hoped it would.

7 UNIDENTIFIED MALE: We'll address that to  
8 some degree, so we'll get to that, unfortunately in our  
9 last site, but we will get to it.

10 UNIDENTIFIED MALE: We're going to  
11 address what we're proposing to do in that particular  
12 area, I'll tell you that.

13 UNIDENTIFIED MALE: Is there another  
14 contractor then that's working on designing clean-up  
15 system for the neighborhood itself?

16 UNIDENTIFIED MALE: I can't speak to that  
17 exactly. I know that we are not. I know that this  
18 particular plume here is being handled through a  
19 particular effort that's associated to Zone 4 activity.

20 UNIDENTIFIED MALE: Okay. Well, I don't  
21 want to hang you up any more.

22 UNIDENTIFIED MALE: So really to get into  
23 what we're talking about, with respect to cite MP, as we  
24 have indicated, that's the plating facility that used to  
25 be located in here, of which this particular plume is

1 basically associated.

2                   The general approach that we're following  
3 is we have, where, in fact, possible, we are looking to  
4 utilize the design vehicle as a means of actually the  
5 installing the remedial action so that we aren't just  
6 designing something that, in turn, somebody at a later  
7 date will go out to a point of actually constructing, so  
8 that's the intent that we're following with respect to  
9 how we're proposing to do all the site work.

10                  The other is we're applying, for the most  
11 part, the same technology that was approved within the  
12 ROD.

13                  The other is we're looking to integrate  
14 obviously the soils with ground water. In other words,  
15 we aren't looking to install a system that's specific to  
16 either/or. We're looking to ensure that we've got a  
17 system that's totally compatible from a source  
18 mitigation as well as a ground water mitigation system.  
19 And other is, in fact, we're looking to optimize the  
20 existing systems that are already there without going  
21 back and necessarily rebuilding those systems.

22                  UNIDENTIFIED FEMALE: I'm sorry, when you  
23 said same technology, is that the pumping it out and  
24 cleaning it up?

25                  UNIDENTIFIED MALE: Yes, yes, ma'am.

1                   UNIDENTIFIED MALE: Now a couple of  
2 things that we're doing here can have some effects.  
3 First of all, especially with combining remedial  
4 designing with remedial action and also with the  
5 optimization perhaps, and the integrated system, though,  
6 three things are, first of all, cutting down  
7 significantly the time that takes to get the systems  
8 accomplished and completed significantly, especially  
9 combining (Inaudible) design with remedial action.

10                  Secondly, it's also providing the maximum  
11 efficiency you can. And I'm use the term design/build.

12                  UNIDENTIFIED MALE: I was going to say  
13 design/build.

14                  UNIDENTIFIED MALE: We all know  
15 design/build is the most efficient way of doing it. Now  
16 sometimes you have to be careful with the government  
17 because you have to be careful with the design/build,  
18 but in this case, we're proposing that because certainly  
19 things have changed in the last three years when the,  
20 three to five years, when the feasibility studies were  
21 done, societies conditions have changed, plumes have  
22 moved, et cetera, so by doing our testing here for the  
23 remedial design and then we come right in, boom, and as  
24 a part of design action and the optimization actions  
25 that we're doing, the final system gets put in place,

1 you have absolutely put in the best system at that time  
2 and you have also cut the amount of time it takes to get  
3 the system in.

4                   And also, I'm not going to bet my life on  
5 it right now but I'm almost do that, in terms of by  
6 optimizing, we're going to be cutting down quite a bit  
7 the number of years it takes to clean up the plume. And  
8 there's a lot of details in that that we don't have time  
9 to go into now but we probably will down the road in  
10 terms of how this optimizing will definitely, as we do  
11 the modeling that you'll see here, will show how we're  
12 talking about significantly reducing the time.

13                  UNIDENTIFIED FEMALE: Did you re-do the  
14 modeling?

15                  UNIDENTIFIED MALE: No. We will be  
16 re-doing it.

17                  UNIDENTIFIED MALE: Do you have an  
18 estimate of clean-up time now?

19                  UNIDENTIFIED MALE: No, we don't. That's  
20 what we'll be doing as part of this effort for each  
21 site.

22                  UNIDENTIFIED MALE: And with respect to  
23 MP, which is the old plating facility, we are in the  
24 process currently and currently under schedule that as  
25 of the 21th of this month, I don't know if there's been

1 some kind of release, but we'll be installing what could  
2 be the first of one or two wells. At this point, we  
3 don't know exactly how many, within the site of MP.

4                   The previous system, the interim system  
5 that was put in there to address this particular plume  
6 that is migrated off the base was a system installed for  
7 a problem that was being experienced at the time. They  
8 wanted to initiate an action to prevent this particular  
9 situation from getting any worse so there was basically  
10 a system of five recovery wells that were installed  
11 along Berman Road along the base boundary line. That  
12 particular system has been operating for approximately  
13 two years.

14                   What we're proposing to do as a result of  
15 the BRA, I'm not -- the Basewide Remediation Assessment  
16 that's been being done now for the last three years --  
17 we have been looking at that particular data. This  
18 particular design or the interaction was designed back  
19 in '92, '93, based on much different data than what, in  
20 fact, is available to us to date.

21                   UNIDENTIFIED FEMALE: Do you think it  
22 worked? I mean, was it successful?

23                   UNIDENTIFIED MALE: Yes. The system,  
24 from a containment standpoint, it obviously is doing  
25 nothing with respect to the plume that's already gone

1 beyond the boundary.

2 UNIDENTIFIED FEMALE: Right, right.

3 UNIDENTIFIED MALE: But with respect to  
4 containing the plume and what we've been able to  
5 identify, actually the source, of which this system was  
6 never intended nor was it intended as part of the  
7 preferred alternative to do anything with the source  
8 because it wasn't assumed that there was one, we have  
9 identified within -- there's a dissolved plume that  
10 exists within the MP facility or within that particular  
11 area that probably has the highest concentrations of TC  
12 and PC that's located on the base but that's not going  
13 anywhere.

14 Over the last three years, that  
15 particular source has remained within this particular  
16 boundary. What we're proposing to do is rather than  
17 just stay with a containment system, evolve that system  
18 into a source mitigation system, basically making it  
19 more of a capture source removal system than what it  
20 currently has been set up for.

21 UNIDENTIFIED MALE: Bob, based on the  
22 data that you've seen, do you think that source is still  
23 being produced or is it just a remnant of an event that  
24 occurred in the past?

25 UNIDENTIFIED MALE: All we can see --

1 That particular question, we can't totally answer that  
2 but there certainly is a ground water plume that's not  
3 moving that is, in fact, located in what was the  
4 location of what the building used to exist in. I can't  
5 sit there and say that there is, in fact -- We've done  
6 and the base has done some particular soil sampling to  
7 this area and there's not been any kind of indication  
8 within the soils that there's any kind of contamination  
9 process. So whatever is present, it would have to be  
10 sub-surface.

11 There's the possibility that this  
12 particular source material is as a result of the  
13 industrial waste collection system that used to exist in  
14 that particular area, but the system, there's a  
15 concentration of chlorinated solvents that, in fact, has  
16 not moved in a three year period of time. So in order  
17 obviously to address the problem to mitigate the source,  
18 you have to attack it, and that's what we're proposing  
19 to do, and in that particular first recovery well, we're  
20 calling it right now a test well but we, by our design,  
21 are setting up our wells in such a way that they will  
22 become a part of final system.

23 The first of those wells will go in next  
24 week, and that will be installed in what we have  
25 identified to be the source area, and that's what we're

1 basically talking about with respect to pump testing.

2 UNIDENTIFIED MALE: That's a key element  
3 of what we talked about integrating remedial design with  
4 remedial action, in that we need to determine --

5 (Tape cut off. End of Tape 1.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 (Beginning of Tape 2.)

2 UNIDENTIFIED MALE: What is the primary  
3 purpose of the pump test? I understand you're going to  
4 later look at hydraulic characteristics. Then what are  
5 you going to do with it?

6 UNIDENTIFIED MALE: We're going to verify  
7 that we can, in fact, capture from that one well the  
8 source. That's the whole purpose of that particular  
9 pump test. We want to determine what, in fact, the  
10 radio influence of that particular well to ensure that  
11 we have complete capture of that source area.

12 So the other thing is, and we'll go into  
13 this. In fact, we'll evolve into it. As you can see  
14 from a proximity standpoint, S-8 is very close in  
15 proximity to this location. You can't eliminate what it  
16 is that's being done here that's not going to have an  
17 effect on this particular system. These two systems  
18 have to be integrated.

19 When the systems were initially put in  
20 and installed, they were put in separately, apart from  
21 one another. Input information was basically from this  
22 area that allowed the model to be developed to put in  
23 that particular system. This system was put in, I  
24 believe S-8 was put in sometime around in '92. This  
25 system here was in '94, so there's a couple years apart

1 within that system. This is back in the '90 to '91 time  
2 frame with respect to S-4. So those were put in with  
3 respect to information that was available.

4                   The BRA data, which is basically a data  
5 that's capturing far more wide-reaching areas for other  
6 than specific to the sites, didn't begin until about  
7 1994 and it's gone on each year. So there wasn't any  
8 kind of larger picture information available so the BRA  
9 information was, in fact, for that particular task began  
10 back in '94.

11                  So with respect to the wells that we have  
12 been installing in the source area, it has a very good  
13 potential, just because of the thickness of water that's  
14 within this particular area that could, in fact,  
15 influence the operation of this particular system here.

16 So what we have to do, in the process of putting  
17 together this design is we integrate obviously this  
18 system into this system from a ground water standpoint.

19                  UNIDENTIFIED MALE: We have the official  
20 aquifer and then we've got the Navarro underlying that.

21                  UNIDENTIFIED MALE: Yes.

22                  UNIDENTIFIED MALE: Are you only looking  
23 at the contaminants in this official aquifer or are you  
24 doing anything with the Navarro?

25                  UNIDENTIFIED MALE: We've gone and mapped

1 the Navarro. We have done and will be doing, when we  
2 talk about, that's the next step that's being proposed  
3 that we're going to be doing.

4                   Contamination, and as pretty well  
5 indicated by this particular drawing as well, you know,  
6 contamination is basically a tracer. That's a tracer of  
7 channels. In other words, contamination is going to  
8 move through channels. What was not ever really  
9 identified in the paths was where exactly are those  
10 channels to ensure that the systems that have been  
11 installed are located in the best place possible to  
12 capture that contamination.

13                  UNIDENTIFIED MALE: I was going to say  
14 something a little bit different, and that was generally  
15 the Navarro was thought to be almost impermeable.

16                  UNIDENTIFIED MALE: Yes.

17                  UNIDENTIFIED MALE: However, in some  
18 places, it is quite permeable. So are you looking at --

19                  UNIDENTIFIED MALE: We're looking at the  
20 Navarro at being the bottom of the shallow water. We're  
21 not going below that. That's the extent of it.

22                  UNIDENTIFIED MALE: So do you believe  
23 that the Navarro is not contaminated or that there's no  
24 possibility of the Navarro being contaminated?

25                  UNIDENTIFIED MALE: You mean

1 contamination as migrated below that particular --

2 UNIDENTIFIED MALE: The Navarro from this  
3 official aquifer?

4 UNIDENTIFIED MALE: No, we do not believe  
5 that and we don't see that there's necessarily any  
6 information that dictates that that is the case.  
7 There's another project that's ongoing that will be  
8 starting to potentially further address that  
9 possibility.

10 UNIDENTIFIED MALE: Do you have data that  
11 shows you that, in fact, the Navarro is not  
12 contaminated? Do you have data that show that?

13 UNIDENTIFIED MALE: No.

14 UNIDENTIFIED FEMALE: That's an  
15 assumption.

16 UNIDENTIFIED MALE: No, that's an  
17 assumption. It's based off of this information that's  
18 currently available.

19 UNIDENTIFIED MALE: Yes.

20 UNIDENTIFIED MALE: Okay. Now from a  
21 standpoint of our systems, obviously we're addressing  
22 these systems with respect to the clean-up of the  
23 shallow or superficial aquifer.

24 UNIDENTIFIED MALE: And that's all we'll  
25 be talking about today?

1 UNIDENTIFIED MALE: Yes.

2 UNIDENTIFIED FEMALE: Is there any  
3 (Inaudible)? I just kept calling it the shallow  
4 aquifer.

5 UNIDENTIFIED MALE: That's all we know it  
6 as.

7 UNIDENTIFIED MALE: Could I just bring  
8 that up as a point for future consideration? In some  
9 places, Air Force data shows that the Navarro is more  
10 conductive, has hydroconductivity several orders of  
11 magnitude than some portions of this official aquifer,  
12 so I don't know that we can get completely away from the  
13 assumption that we don't have to think of contamination  
14 in the Navarro. I think we may have to think about it.  
15 Right now, it's an unknown.

16 UNIDENTIFIED FEMALE: Given the risks  
17 associated with the (Inaudible), it's pretty serious.

18 UNIDENTIFIED MALE: Yes, the problem is  
19 that the Navarro, there's no barrier to flow between the  
20 Navarro and this official aquifer, so what you can have  
21 happen is contaminants flowing in this official aquifer,  
22 then if the Navarro happens to be more conductive at a  
23 certain point, flow into the Navarro and then move back  
24 into this official aquifer.

25 UNIDENTIFIED MALE: Okay. So that's what

1 I was wondering. You're talking about the Navarro as a  
2 source agency?

3 UNIDENTIFIED MALE: Pardon me?

4 UNIDENTIFIED MALE: You're talking about  
5 the Navarro as a sourcing agent? In other words, it  
6 becomes contaminated and then resources?

7 UNIDENTIFIED MALE: That's one  
8 possibility, yes, that's one possibility.

9 UNIDENTIFIED MALE: But I was thinking  
10 you were talking about actually breaks in the Navarro  
11 and going down into the Edwards.

12 UNIDENTIFIED MALE: No, I'm not referring  
13 to that. I'm just referring to the aquifer portion of  
14 the Navarro now, but that's another issue and that's for  
15 another day.

16 UNIDENTIFIED MALE: Okay, we'll check  
17 into that. We'll have our hydrogeologist address that  
18 and look at that. I haven't heard that come up before.

19 UNIDENTIFIED FEMALE: You know, your  
20 clean-up --

21 UNIDENTIFIED MALE: As far as, yes,  
22 there's not been much information that I'm aware of  
23 anyway that shows the Navarro as being a sourcing agent.

24 UNIDENTIFIED MALE: Yes, I have actually  
25 looked for water quality data on the Navarro.

1 UNIDENTIFIED MALE: Okay.

2 UNIDENTIFIED MALE: And I haven't found  
3 any. I've found aquifer testing done on the Navarro but  
4 no water quality data for it. It probably exists  
5 somewhere, I just don't have it in my 40 pounds of  
6 stuff.

7 UNIDENTIFIED MALE: We'll check into  
8 that.

9 UNIDENTIFIED MALE: So obviously a part  
10 of our tasks, and again, when we talk channel  
11 delineation, and that's being done in basically two  
12 forms of geophysical techniques.

13 The size posts, which some of you may be  
14 familiar with, was already conducted, and that work was  
15 done this past fall.

16 It was found to be very good with respect  
17 to delineating the particular, the surface of the  
18 Navarro, but it was found not to be very well -- it  
19 doesn't do very well with respect to characterizing  
20 lithology nor determining whether or not gravels are, in  
21 fact, present.

22 Obviously with respect to any kind of a  
23 channel, there's got to be some kind of gravels present  
24 to allow water to be existing. You can find a low lying  
25 area within the Navarro but if you don't have some form

1 of gravel present, then you're not going to have  
2 potentially any kind of mobility within the water  
3 flowing through that particular area. You have to have  
4 a channel.

5 UNIDENTIFIED MALE: I completely disagree  
6 with that. In order to get ground water moving, you  
7 need a translucent medium and a difference in hydraulic  
8 heads.

9 UNIDENTIFIED MALE: But also translucent  
10 medium, it's generally some form of permeable material,  
11 whether we want to call it gravel or whatever you want  
12 to call it.

13 UNIDENTIFIED MALE: What he's talking  
14 about is you'll get the greatest flow and you'll get the  
15 largest flow in these graveled areas.

16 UNIDENTIFIED MALE: I don't have a  
17 problem with that, but where you have ground water and  
18 where you have difference in heads, you have to show --

19 UNIDENTIFIED MALE: Absolutely.

20 UNIDENTIFIED MALE: Absolutely.

21 UNIDENTIFIED MALE: We're just talking  
22 about the gravels of where we're going to optimize our  
23 systems, that's what we're looking for.

24 UNIDENTIFIED MALE: And that's the point  
25 behind the geophysical work that's being done, because

1 we obviously want to ensure that the current systems  
2 that have been installed are in the most optimum  
3 locations possible, so that's part of trying to identify  
4 where the channels are to ensure that those wells are  
5 located in the best suitable locations for purposes of  
6 capturing that particular contaminant plume to ensure  
7 that, in fact, it's not going to do anything with  
8 respect to the plume.

9 It, in fact, has gone beyond the base but  
10 it certainly is going to prevent any future movement of  
11 any contaminant plume beyond the base boundary.

12 The next is with respect to the existing  
13 systems, there's never been, to date, any kind of an  
14 actual physical test of those existing systems. There's  
15 been some capture modeling that's been being done but  
16 that's based off of actual, basically information that's  
17 available from sampling that's done, water level  
18 information that's captured as a result of BRA. There's  
19 not been any kind of physical pump testing of those  
20 existing systems, so what we're going to do as a part of  
21 this, we'll be pump testing each of those particular  
22 wells within the containment system, so the five MP  
23 wells will be tested to determine exactly what it is  
24 currently that's available within that system. And then  
25 at that point, that will begin, we'll plug that into our

1 model with respect to the information we obtain from the  
2 capture system as it currently stands, and from what we  
3 determine to be the need from the source mitigation  
4 system, we will develop a containment system that will,  
5 in fact, address this particular MP site.

6                   And at the same time, when we indicated  
7 we were proposing to do this in a design/build concept,  
8 once, in fact, the wells are in place, we would at that  
9 point come back and install the infrastructure which  
10 supports those particular wells.

11                  By infrastructure, I'm speaking of  
12 obviously all the piping network that's required to take  
13 that particular ground water down to a treatment  
14 facility on base. So we, as a one process type  
15 integration, once we develop the particular system, we  
16 will, in fact, install the piping system that's required  
17 to move that ground water down to the plant.

18                  UNIDENTIFIED FEMALE: Now is your system  
19 going to be limited in any way by the capacity of that  
20 treatment center, the power treatment plant?

21                  UNIDENTIFIED MALE: The power treatment  
22 plant?

23                  UNIDENTIFIED FEMALE: Yes.

24                  UNIDENTIFIED MALE: No, because that  
25 particular ground water treatment plant will be upgraded

1 to the point that it will receive whatever the ground  
2 water is that we have determined the need for.

3 UNIDENTIFIED FEMALE: Okay.

4 UNIDENTIFIED MALE: And they're in the  
5 process of doing that as well. There was a draft plan  
6 designed that was provided to the base for upgrade and  
7 integration of those systems.

8 The ground water treatment plant right  
9 now is currently technically two individual systems.  
10 Zone 3 comes into one side of the plant, Zones 1 and 2  
11 comes into the other. They operate as independent  
12 systems. We have provided to them a design package that  
13 would allow that particular system to integrate itself  
14 so that they have the ability of surging from different  
15 systems, from Zone 1, Zone 2 and Zone 3, and  
16 accommodating that particular surge, and they're in the  
17 process of upgrading or moving to the upgrade of that  
18 facility.

19 UNIDENTIFIED MALE: Some people are  
20 concerned that this pumping might cause subsidence and  
21 damage to their homes. Have you done any studies to  
22 look into that?

23 UNIDENTIFIED MALE: No, we're not doing  
24 that, no. But the whole point is we're not de-watering  
25 for the sake of, you know, we're not just massively

1 drawing water. I think there may be a misconception  
2 that we're just pumping, you know, as much water as can  
3 be pumped. That's not what you do for purposes of  
4 establishing a capture system. You pump enough water  
5 that your cone and depression is basically capturing the  
6 particular flow that's coming into it. So we're not, by  
7 any means, de-watering the particular system. That has  
8 never been the intent and nor is it going to become the  
9 intent of the systems.

10 UNIDENTIFIED MALE: You want to be sure  
11 not to pump clean water.

12 UNIDENTIFIED MALE: That's the other  
13 point too. That's why it is you want to optimize the  
14 locations of the well, so that you are, in fact,  
15 reducing that particular issue, that you're not pumping  
16 a lot of clean water that you're having to process and  
17 treat, which is fairly costly.

18 And then the last thing that we would do  
19 is once everything is in place, we would do an actual  
20 test of the system to ensure that, in fact, it's doing  
21 what it was modeled and intended to do, which is  
22 something that has not been done as well before. So  
23 we're going to verify what it is that's in place is  
24 working and is working the way it was designed to work.

25 And with respect to site S-8, again, the

1 same thing. As I had already mentioned once before, S-8  
2 merges into or has got to be integrated into the design  
3 of MP, so from a ground water standpoint, it's going to  
4 be evaluated along with MP.

5                   As we conduct our particular tests  
6 associated in the installation of the recovery wells at  
7 MP, as well as with respect to the system that currently  
8 is working within those MP wells, we're going to be  
9 doing the same type of pump testing of the existing  
10 system.

11                  It's our belief that right now there's a  
12 lot of wells that currently have been installed as a  
13 part of S-8 that aren't necessarily required for  
14 purposes of maintaining the capture system that we need  
15 to have with respect to (Inaudible). Some of those  
16 wells are currently located on railroad property.

17                  Just for purposes of O and M and  
18 maintenance, long term maintenance, it's much better if,  
19 in fact, you can develop a system that's going to, in  
20 fact, provide you the same recovery, same capture with  
21 lesser wells that you have to deal with and service over  
22 time. So we believe that, in fact, is what's going to  
23 be the case, so that's part of our optimization.

24                  We're going to go in and determine what,  
25 in fact, is actually needed with respect to the

1 installation of the wells that we're going to be putting  
2 in here, and with respect to these wells operating,  
3 what, in fact, is still required to be operating here to  
4 address containing that particular plume that's  
5 associated with S-8.

6 Now along with S-8 --

7 UNIDENTIFIED MALE: I'm sorry, but not  
8 only contain it but the optimization will speed up the  
9 recovery of the plume, not just passing containment but  
10 also we want to optimize these wells.

11 In the past, the wells have not been  
12 optimized for a lot of different reasons and what we're  
13 going to be doing is we'll be optimizing screen size and  
14 things like that. The screen sizes in the past have  
15 been like size ten. We're finding that screen size of  
16 about 80 or even a hundred, and so therefore you can  
17 imagine that we're going to be maximizing flow quite a  
18 bit, a lot more flow, and that's going to help us clean  
19 things up a lot faster.

20 So where models in the past have used  
21 data correctly but it's old data, we're going to be  
22 optimizing things and the flows are going to be greater,  
23 and that's why we predict that when we finish here, the  
24 models are going to tell us, you know, where it said 30  
25 years before, maybe we're down to 15 or whatever, we're

1 fully anticipating that.

2 UNIDENTIFIED MALE: As you optimize, you  
3 have to take into account other wells that are pumping  
4 in the area.

5 UNIDENTIFIED MALE: That's exactly  
6 correct.

7 UNIDENTIFIED MALE: And presumably there  
8 are going to be other wells out in the neighborhood  
9 working to clean up the contaminated plume in the  
10 neighborhood. So that's why I'm a little bit surprised  
11 that you all not only aren't planning on doing it but  
12 you don't know who it is you're going to have to work  
13 with in order to optimize your system.

14 UNIDENTIFIED MALE: No, there's a  
15 system. When you say neighborhood, there's work that's  
16 going on out here. I'm just saying we're not doing  
17 that. I know that CH2M Hill is doing that.

18 UNIDENTIFIED MALE: CH2M Hill is doing  
19 that?

20 UNIDENTIFIED MALE: Yes, with respect to  
21 the Zone 4 activities, CH2M Hill is working with respect  
22 to the plume that, in fact, has gone beyond the base.

23 UNIDENTIFIED MALE: And would they be  
24 doing it down in the Quintana Road neighborhood as well?

25 UNIDENTIFIED MALE: I can't answer that.

1 I'm not sure.

2 UNIDENTIFIED MALE: Do you know, Mike?

3 UNIDENTIFIED MALE: No, I don't. I mean,

4 I assume so but I don't know.

5 UNIDENTIFIED MALE: Okay.

6 UNIDENTIFIED FEMALE: (Inaudible).

7 UNIDENTIFIED MALE: Have we done  
8 briefing, no, no. We have provided the information.

9 Now whether the folks with the (Inaudible), I can't  
10 speak to that. We specifically haven't.

11 UNIDENTIFIED FEMALE: Who else would be  
12 likely to do it, you said?

13 UNIDENTIFIED MALE: The EMRO staff?

14 UNIDENTIFIED FEMALE: Oh, okay.

15 UNIDENTIFIED MALE: The Kelly staff. I  
16 don't know what they have given to those folks.

17 UNIDENTIFIED FEMALE: You think there's  
18 any (Inaudible)?

19 UNIDENTIFIED MALE: You're speaking in  
20 terms of the storm sewer project?

21 UNIDENTIFIED FEMALE: Uh-huh.

22 UNIDENTIFIED MALE: I don't think so. I  
23 think that from a hazard standpoint, I believe the  
24 hazards have been identified with respect to its  
25 potential and with respect to the construction of that

1 particular site. Is that what you're concerned about?

2 UNIDENTIFIED FEMALE: Yes, that that  
3 might mess with what you all are doing.

4 UNIDENTIFIED MALE: No, no. We're  
5 talking about a system that is really -- that particular  
6 system is going to run through here and through here.  
7 That's the storm sewer system you're speaking of.

8 UNIDENTIFIED FEMALE: Uh-huh.

9 UNIDENTIFIED MALE: And right now, this  
10 is the actual product plume. That's what this was drawn  
11 by.

12 UNIDENTIFIED FEMALE: Uh-huh.

13 UNIDENTIFIED MALE: The dissolved portion  
14 of that plume, as I understand it, is really in the area  
15 of this particular site, but at much lower levels than  
16 what presents itself as any kind of hazard, as I  
17 understand it, but precautions, as I understand it, as  
18 well with respect to the city, I can't speak to exactly  
19 where the (Inaudible).

20 UNIDENTIFIED FEMALE: Maybe I used the  
21 wrong word but what I meant was --

22 UNIDENTIFIED MALE: Interfere with us?

23 UNIDENTIFIED FEMALE: Yes, interfere with  
24 what you all were doing.

25 UNIDENTIFIED MALE: No.

1 UNIDENTIFIED FEMALE: Okay.

2 UNIDENTIFIED MALE: No, their project is  
3 going to go on that we would not have any interference  
4 with what we're proposing to do.

5 UNIDENTIFIED MALE: Yes.

6 UNIDENTIFIED MALE: Yes.

7 UNIDENTIFIED MALE: What's the nature of  
8 the contaminants we're talking about? What are they?

9 UNIDENTIFIED MALE: Okay, just to give  
10 you an idea, this particular site here was a plating  
11 facility, basically chlorinated contact solvents,  
12 contact cleaners is what was used in this particular  
13 site, PC, TC type contaminants.

14 UNIDENTIFIED MALE: Okay.

15 UNIDENTIFIED MALE: S-8 is two sources in  
16 that. Technically there was an underground tank fuel  
17 source contamination that was identified within this  
18 area, and that's what the initial response was  
19 associated with.

20 There also was what was called the green  
21 worm, which was a conveyor system that went from the  
22 base boundary system, and there were some concrete tanks  
23 right along the fence line that contained solvents and  
24 these particular parts would come across from the  
25 building across the road, come into the dip tanks, and

1 then go back, and that's why it was known as a green  
2 worm. It was a conveyor belt system that would run from  
3 one building to the other. And so you've got solvents  
4 and fuel combinations in this particular an area.

5 In this area, the principle source  
6 initially was fuel, and that was what was uncovered  
7 when, in fact, the city started the initial construction  
8 of that storm sewer, you know, system right along  
9 Quintana Road, it was in this area here, and they  
10 encountered the plume and the construction was stopped.

11 UNIDENTIFIED MALE: S-6?

12 UNIDENTIFIED MALE: S-6 again is a  
13 maintenance, and again, that's solvents.

14 UNIDENTIFIED MALE: Are these plumes that  
15 you've identified, have they already presented a hazard  
16 or are they simply there and you're going to have to get  
17 rid of them?

18 UNIDENTIFIED MALE: They're a source of  
19 contamination of the shallow aquifer. The intent here  
20 is obviously to do what we can do to mitigate that  
21 source as much as possible.

22 The aquifer itself will, over time,  
23 obviously if you had a lot of time, will clean itself if  
24 it didn't have continuing sources, if, in fact, so what  
25 we're trying to do is obviously attack what we see as

1 being those source areas and then obviously do the  
2 containment or be sure that we've got complete capture  
3 so that nothing, in fact, is going to go anywhere else,  
4 and then we'll facilitate the cleaning of the base.

5 UNIDENTIFIED MALE: Bob, have you gotten  
6 metals anywhere?

7 UNIDENTIFIED MALE: Metal contamination  
8 is not significant. Now with respect to S-8, metals has  
9 never been identified as a problem there with respect to  
10 anything that's off the base.

11 Now with respect to on the base itself,  
12 there's soils or source area actions that are going to  
13 be taking place. In the case of S-8, that particular  
14 location was identified for capping. In other words, as  
15 well as the installation of a push/pull soil vapor  
16 extraction bating system to be installed in this  
17 particular area to address product that's located within  
18 this particular area. So what we're doing is we're  
19 integrating. That's what the next step was that I was  
20 going to talk about, the integration of the soils in the  
21 ground water.

22 Previously those systems were looking to  
23 be somewhat independent of one another. Soils was going  
24 to go in and they were going to put this in, and then  
25 you're going to deal with your ground water as

1 secondary. Both have to be combined. I mean, you've  
2 got to be looking at those particular systems as a unit  
3 and that's what we'll be looking at. In other words,  
4 we're looking at proposing a dual casing type system  
5 where basically you're going to have a ground water  
6 recovery system with a vapor extraction system in one  
7 location for purposes of mitigating the source.

8 In other words, we're allowing the system  
9 to interact and work together rather than having a  
10 system here and then a capture system here and not  
11 necessarily working with one another.

12 UNIDENTIFIED MALE: What sort of metals  
13 are you seeing?

14 UNIDENTIFIED MALE: I can't answer that,  
15 I don't know. Metals have never been identified, at  
16 least that I've been involved with, as being anything of  
17 importance or being any of the drivers behind anything  
18 of what's taking place.

19 UNIDENTIFIED FEMALE: Is that from the  
20 plating?

21 UNIDENTIFIED MALE: The metals?

22 UNIDENTIFIED FEMALE: Yes.

23 UNIDENTIFIED MALE: I'm not exactly sure  
24 what the source could be. The source could be any  
25 number of things but I'm not sure what the metals that

1 you're speaking of.

2 UNIDENTIFIED MALE: Just to let you know,  
3 there's some pretty high concentrations of chrome and  
4 nickel in some parts of the aquifer, like 10, 20 times  
5 above drinking water standards.

6 UNIDENTIFIED FEMALE: There's a plating  
7 company that's by my house and it's got like a lot of  
8 metal.

9 UNIDENTIFIED MALE: Yes, there hasn't  
10 been, that I'm aware of anyway, anything that's been  
11 identified that's specific that these systems are being  
12 installed to attack from a metals standpoint. The  
13 actions are basically associated to your solvents and  
14 fuels.

15 UNIDENTIFIED MALE: Just to make a  
16 comment, it's a whole lot harder to get the metals out  
17 than it is the solvents.

18 UNIDENTIFIED MALE: Agreed.

19 UNIDENTIFIED MALE: So that's something  
20 you need to look at.

21 UNIDENTIFIED MALE: Although your metals  
22 are a little bit less mobile as well as what your  
23 solvents would be as well, so mobility within the media  
24 is far less within metals. And within the metals, as  
25 far as finding a significant source, a plating facility

1 certainly could be a potential for that source but we  
2 have not found any indication or any particular source  
3 in the soils at all within MP. Everything that we've  
4 found is associated with actual dissolved product. You  
5 know, it's the dissolved portion that's actually in the  
6 ground water itself.

7 Did I already do S-4? S-4 again is the  
8 fuel situation.

9 Now it's not all fuel. There is, in  
10 fact, solvents that are, in fact, present down in this  
11 particular area.

12 With respect to the feasibility study,  
13 the feasibility study indicated that what we need is  
14 basically a containment system, of which that's what's  
15 been installed. .

16 What we're proposing again here to do is  
17 do again the Navarro delineation so that we can identify  
18 channeling so that we can confirm the presence of  
19 channeling and see where, in fact, those systems are  
20 currently placed with respect to where it is that we see  
21 the predominant flow of that, you know, contamination  
22 moving so that we can ensure that the system is there to  
23 capture that prior to its being able to move off the  
24 base.

25 And at that point, we would put in

1 whatever the upgrades are that's required to allow that  
2 system to work how it should work in order to capture  
3 that particular plume so that it, in fact, does move off  
4 the base, and at the same time, install whatever  
5 infrastructure is required to allow that system to work.

6 It may mean that we do have to, in fact,  
7 add new wells. If that's determined that, in fact,  
8 there is an area that, in fact, is not being captured,  
9 we would at that point add the new wells for that  
10 particular capture to go on.

11 UNIDENTIFIED FEMALE: Do you think the  
12 containment in that area has been successful so far?

13 UNIDENTIFIED MALE: From what we can see,  
14 this particular product plume, this map here, as I  
15 understand it, is a number of years old and that  
16 dissolved plume, as I understand it in looking at the  
17 BRA's most recent, is way out in here, but I don't know  
18 that the actual product plume has really moved very  
19 much.

20 UNIDENTIFIED FEMALE: Okay.

21 UNIDENTIFIED MALE: And right now, that's  
22 where your system currently is installed is within that  
23 particular plume area.

24 UNIDENTIFIED MALE: That's why things  
25 will be determined just how efficient it's working.

1 Also we might be recommending or installing a product  
2 recovery system.

3 UNIDENTIFIED FEMALE: Are you going to  
4 give us updates?

5 UNIDENTIFIED MALE: We can give you  
6 updates -- (Inaudible).

7 UNIDENTIFIED MALE: When you use the term  
8 channeling, that's the same as (Inaudible)?

9 UNIDENTIFIED MALE: Yes, channel is  
10 really --

11 UNIDENTIFIED MALE: It's a different word  
12 than I'm used to regarding this but if that's the common  
13 word. I just need to learn if that's --

14 UNIDENTIFIED MALE: River channel.

15 UNIDENTIFIED MALE: Yes, river channel.

16 It's a preferential flow path that water has a tendency  
17 of following, and it's already been proven that  
18 generally where the water flows is where your  
19 contamination is also going to flow and move.

20 UNIDENTIFIED MALE: It's just  
21 terminology. I just want to be sure I'm getting the  
22 right termination.

23 UNIDENTIFIED MALE: That's why if you've  
24 got a very good analysis of what the situation looks  
25 like here, I mean, if you've got a fairly reasonable

1 number of wells out here that you've analyzed, you can,  
2 by basically mapping your contaminants, you can, for the  
3 most part, to some degree identify generally where those  
4 contaminants are located, and we've looked at the BRA  
5 and that's what we've done for purposes of trying to  
6 initially determine where, in fact, are we located, at  
7 least what we seeing being the best locations currently  
8 possible.

9                   For the most part, as you can see as  
10 well, the systems are reasonably there and that you've  
11 got the MP system here, you've got the S-8 systems here,  
12 and then you've got three legs of a system down here in  
13 S-4. So the initial system was put in there but what  
14 we're considering is it wasn't put in there based on  
15 real data that's actually, you know, mapped out the  
16 particular Navarro surface and then determined that it  
17 is, in fact, the most efficient well that could be, in  
18 fact, be constructed.

19                   Then with respect to S-6, what we have  
20 here is a particular location that's not, to date,  
21 obviously there's not been anything that's been  
22 installed or initiated but what this is more into in  
23 line with our build/design concept. What we're  
24 proposing to do in this particular area, there was an  
25 eight well capture system that was proposed as part are

1 the rod. We're proposing to engage and basically build  
2 that particular capture system step by step.

3 In other words, we'll first come in and  
4 define where we believe the channeling to be best  
5 located in this area, install our first well, and we'll  
6 go into pump testing that particular well, determine  
7 what the radial of influence is that we can capture from  
8 that well, and from modeling, determine, where, in fact,  
9 we need to install the next well, then move to the next  
10 location, install that particular well, ensure that  
11 we've got the complete capture of that particular system  
12 and move right on down the system until we have  
13 installed that particular capture system that's required  
14 with respect to the plume that's present, and then at  
15 that particular point, we'll connect the infrastructure  
16 associated with that system and then plum it into the  
17 ground water treatment plant.

18 So we are, in short, constructing the  
19 system versus waiting and just proposing a design and  
20 then later come back and do it, and do it based off of a  
21 model, because that's the only way we could do it. We  
22 could basically go in with a pump test, and based on  
23 that information, model where we would see the next well  
24 locations being, but that's not optimizing the system.  
25 You're not going to give that to somebody else and he's

1 going to have assume this is where we put those wells.  
2 We're going to put the wells where it is that they need  
3 to be put for purposes of ensuring that we've got the  
4 complete capture of that particular plume.

5 UNIDENTIFIED MALE: Is that what design/  
6 build means?

7 UNIDENTIFIED MALE: That's what we're  
8 using design/build as.

9 UNIDENTIFIED MALE: It's concurrent  
10 rather than sequential, if you want to put it that way.

11 UNIDENTIFIED MALE: I think that makes a  
12 lot of sense.

13 UNIDENTIFIED MALE: It's not necessarily  
14 easy but it ensures speed.

15 UNIDENTIFIED MALE: Because what could  
16 happen is we could give a design and it would be two  
17 years later before you come out with the actual  
18 construction and then our design won't be as detailed,  
19 like I said, with what we're going to be doing, so that  
20 contractor would come out and need to do some testing  
21 and hopefully find out, and by at that time the plume is  
22 being moved.

23 UNIDENTIFIED MALE: Yes, that's exactly  
24 what takes place. The longer you wait, obviously the  
25 contamination at that point is moving not exceptionally

1 fast but it is, in fact, moving, so the system that was  
2 proposed two years ago may, in fact, not have the  
3 capture that's required to address that part of the  
4 plume that, in fact, has moved on, so that's why as you  
5 build the system, you are, in fact, building a system as  
6 you move along that you know is going to capture the  
7 system.

8 UNIDENTIFIED MALE: As you go along,  
9 based upon what's happening.

10 UNIDENTIFIED FEMALE: Does it make your  
11 design more accurate here?

12 UNIDENTIFIED MALE: Yes. The key word is  
13 optimization. It locates your wells. It also  
14 constructs your wells the best they can be constructed  
15 because we're following a procedure, we're going to put  
16 test borings in, we're going to basically take  
17 geotechnical data and analyze that so that we actually  
18 construct a well that's, by its design, is going to do  
19 what it needs to do for capturing that particular water  
20 body.

21 We're going to put the appropriate type  
22 of gravel pack around the well. We're going to identify  
23 the appropriate type screen slot size for the well.  
24 Whereas it would be different if you went, for instance,  
25 and we designed it and said okay, you come in here and

1 you just build all these wells this way and install your  
2 screens at this particular depths and use this  
3 particular slot size, it doesn't mean that that's how it  
4 is that it's actually going to work.

5 I mean, when you get in there, it may not  
6 perform the way that it is that you expected because  
7 you're basing that off of input that you provide in a  
8 model, and unless you physically are testing that  
9 particular well, you don't exactly know how it is that  
10 it's actually performing, so that's why we're proposing  
11 to do this and build a system as we go.

12 UNIDENTIFIED MALE: I like that idea. I  
13 think, if I understand what you're saying correctly,  
14 that would also mean that you really don't know how long  
15 it's going to take to clean up this plume until you're  
16 nearly done building the system, is that right?

17 UNIDENTIFIED MALE: For the most part.

18 And --

19 UNIDENTIFIED MALE: However, after we've  
20 done a very rough correlation, I would think, after  
21 we've done MP and we've modeled that MP/S-8, and we're  
22 going to have modeled that while we're then going off  
23 and doing other sites, that's assuming we do them  
24 sequentially and not concurrently, then we're going to  
25 have to modeled that and come up with a prediction as to

1 how much faster that's going to go and we could apply  
2 that generally. Like if there is you know, a three to  
3 one reduction, we could say, gosh, we're hoping to get a  
4 three to one reduction with the rest of it.

5 UNIDENTIFIED MALE: What model are you  
6 going to use, do you know yet?

7 UNIDENTIFIED MALE: Well, we're looking  
8 at probably motion flow as being the principle model  
9 that we're going to utilize. That's the most  
10 commercially accepted and most everybody is utilizing  
11 it.

12 UNIDENTIFIED MALE: That would be within  
13 our GIS system also so our GIS system will be helping us  
14 throughout this.

15 UNIDENTIFIED MALE: So the optimization  
16 is, I guess there's three things that it keys on. Not  
17 only most importantly putting in the most efficient  
18 system, I think that's the most important thing. Also  
19 it's saving time in terms of getting the system in place  
20 and being the most efficient, saving time in terms of  
21 the ultimate clean-up and it's saving a lot of money,  
22 and I could name ten different areas where it's saving  
23 money throughout the whole process.

24 UNIDENTIFIED MALE: Have you all actually  
25 gone through this sort of process elsewhere?

1 UNIDENTIFIED MALE: We think this is a  
2 novel idea and Mr. Bailey has taken the chain all the  
3 way up to the Undersecretary of Defense for the  
4 Environment and Security, and he basically said "Wow."

5 UNIDENTIFIED MALE: There's been a  
6 general trend towards (Inaudible).

7 UNIDENTIFIED MALE: What I'm saying is,  
8 has this particular concept as applied to what's  
9 happening at Kelly in terms of the optimization and it  
10 turning into a final remediation system -- I mean,  
11 design/build is something that certainly is a concept of  
12 --

13 UNIDENTIFIED MALE: Right.

14 UNIDENTIFIED MALE: But as applied to  
15 clean-up of contaminants.

16 UNIDENTIFIED MALE: It's not been applied  
17 this way, that we're aware of.

18 UNIDENTIFIED MALE: A lot of the clean up  
19 projects are government and the government has a  
20 tendency not to like design/build because it's possible,  
21 it has the potential that the designer, if he's also the  
22 builder, he'll conspire with himself to design a  
23 (Inaudible), and you can say, "Well, geez, if I'm  
24 designing this, I may as well go for broke. Since I'm  
25 going to build it, if I build a ten million dollar

1 system, that's a lot better than me building a five  
2 million dollar system so I'll design a ten million  
3 dollar system."

4                   But that paranoia is not worth the cost  
5 of breaking apart, plus breaking apart those two  
6 contract actions into two separate companies, if you've  
7 ever been to a construction site where the architect is  
8 standing there and builder is standing there and they're  
9 arguing about the same thing, they're all building the  
10 same house, you realize the inefficiencies of designing  
11 and then building. And the private sector has said,  
12 "Hey, this is great. It's a win/win." And government  
13 is, "Well, we just got to be sure we're wise about these  
14 tax dollars." It's the old spend a dollar to save a  
15 penny. But they're coming around.

16                   Some sectors of the government are  
17 starting to say design/build, yes, maybe it does make  
18 sense. The Air Force is getting there.

19                   UNIDENTIFIED MALE: And what we're doing  
20 is basically calling this optimization, we're not  
21 calling this design/build.

22                   UNIDENTIFIED MALE: Technically this was  
23 originally proposed. We're running and operating the  
24 (Inaudible) systems.

25                   UNIDENTIFIED MALE: You'll never see

1 design/build in this presentation.

2 UNIDENTIFIED MALE: That's the other  
3 thing. Paint a horse, you know, black and white.

4 UNIDENTIFIED MALE: So these pump tests  
5 you're proposing are actually part of this process  
6 you're talking about?

7 UNIDENTIFIED MALE: Yes.

8 UNIDENTIFIED MALE: That's what I say,  
9 we're doing it smart enough to where they end up to be  
10 the final (Inaudible), saving lots of money.

11 UNIDENTIFIED MALE: Now in the event, for  
12 instance, and that's why we're delineating. If we find  
13 wells that aren't installed properly or, if, in fact, we  
14 were to install -- The first well, you have to start  
15 some place based on the best information.

16 If, in fact, we determine that that well  
17 was not placed in the most appropriate location, then  
18 that well is, at that point -- our assumption is we're  
19 going to do all we can to place it where it needs to be  
20 based on the best information available.

21 Once, in fact, the well is installed and  
22 we do the pump test and we're not capturing or getting  
23 the response at the well we expect to get, then at that  
24 point, we would have to look to see what else there is  
25 for us to do to address and get a well in there that's

1 going to do what we need to have done.

2 UNIDENTIFIED MALE: But with the  
3 geophysics and with the geotechnical testing which  
4 hasn't been done before in terms of doing geotechnical  
5 testing prior to putting the well in, it's very  
6 important to find out what the slot size, et cetera. We  
7 think we're going to be free of risk.

8 UNIDENTIFIED MALE: The gentleman back  
9 there (Inaudible.)

10 UNIDENTIFIED MALE: I don't know if this  
11 even comes into play at all in our operating systems.  
12 They need to operate 24 hours a day and they need back-  
13 up and what not. If a pump fails, the power goes off  
14 for a period of time, is there any system here that you  
15 have anything for a back-up? I'm just wondering.

16 UNIDENTIFIED MALE: Yes. Well, we're  
17 involved with the whole process, which makes it sort of  
18 nice because we're also involved with the design upgrade  
19 of the plant facility and the control systems that are  
20 going to be located out at the sites that will have the  
21 appropriate alarm systems on them that trigger off what  
22 the reactions are if, in fact, something stops.  
23 Currently the systems are interim. We're now installing  
24 the final systems, so now along with the final systems,  
25 we're building that system so that we can work that

1 system.

2 UNIDENTIFIED MALE: You know, if a pump  
3 went out, I don't know how critical that would be, if  
4 you have order a replacement pump and get it in a month.

5 UNIDENTIFIED MALE: Well, as a result of  
6 having the old contract, we have the pumps. We  
7 basically operate the existing systems currently so we,  
8 in turn, make that system run.

9 UNIDENTIFIED MALE: You've got a fail  
10 safe system essentially.

11 UNIDENTIFIED MALE: (Inaudible). There  
12 are certainly things that are sending water there  
13 expecting the plant to be there, more critical at the  
14 plant end.

15 At the upper end, it's less critical. If  
16 the pumps go down for a certain period of time, well, we  
17 can go out and fix them in due time. But at the bottom  
18 end, there's an expectation that the bottom end is ready  
19 for all this water, so there's a lot of redundancy  
20 that's built into the plant alarms by our operators.

21 UNIDENTIFIED FEMALE: I had a question  
22 about the one kind of design that you're considering for  
23 the (Inaudible). Is it going to have the same sort of  
24 system or are you considering --

25 UNIDENTIFIED MALE: I think they're

1 included in it.

2 UNIDENTIFIED MALE: Yes, that's what the  
3 whole point is of trying to focus again on the  
4 channels. That's where those things are, in fact, going  
5 to be present and that's where, with respect to the  
6 final solution and how it is, you had hit on it with  
7 respect to the systems operating continuously.

8 There's a reason why you operate a system  
9 continuously and then there's other ways that you can  
10 run that system and allow that system to work, you know,  
11 run stop, run stop. There's a reason why you would want  
12 that particular concept to work, because it's going to  
13 do something to allow things to happen within the  
14 shallow aquifer and allow you to help mitigate the  
15 system quicker.

16 We're going to be evaluating how -- You  
17 know, right now these systems basically run  
18 continuously. With respect to developing a source  
19 mitigation system, we're changing the perspective of  
20 just containment. In other words, we're now changing  
21 how things were currently working.

22 What we want to do is we don't want to  
23 just de-water the source area because it's going to  
24 effect the containment system, and what we want is  
25 actually we want this particular source area to move.

1 We want to remove the source and then we want flushing  
2 to go on through here and then we capture that  
3 particular flushing at that particular containment  
4 structure so that we're cleaning.

5 Just by going in and just pumping and  
6 pumping and pumping, you're not doing anything with  
7 respect to really helping to mitigate things any  
8 quicker, so what we're looking at are different  
9 techniques that we can operate these particular system  
10 under that would allow us to address those other  
11 particular concerns.

12 UNIDENTIFIED MALE: Are you thinking of  
13 incorporating ejection wells in your design?

14 UNIDENTIFIED MALE: No. We've evaluated  
15 injection wells because they were in Zone 2.

16 From an evaluation standpoint, we  
17 actually did re-injection tests in Zone 2 because there  
18 was, as a part of preferred alternative, injection was,  
19 in fact, an alternative that was recommended. It wasn't  
20 just the fact that the O and M on ejection wells --  
21 historically we've gone through those people who have  
22 built them and those people who are operating them.  
23 They're very high cost, they're very high maintenance.  
24 In most cases, those particular systems have to be  
25 replaced relatively frequently.

1                   UNIDENTIFIED MALE: How frequently, do  
2 you have a rough idea?

3                   UNIDENTIFIED MALE: We're talking, what I  
4 know of, about five years. That's about the life  
5 expectancy of an ejection system. So it's been  
6 determined the value that that, in fact, is going to  
7 provide, we can essentially, we believe, have basically,  
8 by the flushing of that particular shallow aquifer,  
9 accomplish the same thing.

10                  And with respect to Zone 2, where it was  
11 planned, it technically, in itself, becomes a barrier.  
12 I mean, you're changing the shallow aquifer when you're  
13 now starting to push water into it so it changes what  
14 the current conditions are, what your objective is with  
15 respect to what you're trying to do as far as clean-up.

16                  UNIDENTIFIED MALE: Do you have any  
17 reason to believe that denapples exist anywhere in the  
18 shallow aquifer?

19                  UNIDENTIFIED MALE: I would have to  
20 suspect that denapples are TC/PC's. I mean, any of your  
21 heavies are --

22                  UNIDENTIFIED MALE: No, I'm talking about  
23 emissible phase, liquid TCE.

24                  UNIDENTIFIED MALE: I'd have to contend  
25 that it might exist. We haven't been able to

1 necessarily --

2 UNIDENTIFIED MALE: There's no evidence  
3 of it?

4 UNIDENTIFIED MALE: I haven't seen any.

5 UNIDENTIFIED MALE: Do you know of any?

6 UNIDENTIFIED FEMALE: No, I (Inaudible).

7 UNIDENTIFIED MALE: Yes, the only project  
8 that really is doing the base-wide analytical would be  
9 the BRA, and the BRA, as I understand it to date has not  
10 uncovered anything of that kind.

11 UNIDENTIFIED FEMALE: (Inaudible). Has  
12 the (Inaudible) actually been determined for all these  
13 sites?

14 UNIDENTIFIED MALE: Yes. Now the ones  
15 that were, in fact, that there's source mitigation  
16 proposed, and when I indicate source, I think we're  
17 confusing. I don't want to confuse ground water source  
18 and soils source.

19 UNIDENTIFIED FEMALE: Right.

20 UNIDENTIFIED MALE: And with respect to  
21 those areas where there's soil contamination present and  
22 systems that are being installed in those particular  
23 areas, it has been delineated, and that's why it is that  
24 the system has, in fact, been proposed in that area.

25 There was, as a part of initial RD, there

1 was a significant effort done with respect to trying to  
2 delineate obviously the surface extent, the aerial  
3 extent of that particular plume with an extensive  
4 geoprobe effort, and then there was also another  
5 particular effort to vertically determine what the  
6 extent of that particular plume was for purposes of  
7 designing the system that's proposed to go in.

8 So there is an air push/pull system that  
9 was proposed up in here with capping that was a part of  
10 preferred soils alternatives.

11 There's also another one down here with  
12 respect to a push/pull system of air, basically  
13 involving an SB system that was proposed associated to  
14 this point.

15 MP had nothing proposed to it because  
16 they've never been able to identify any real source  
17 material in the media itself. Everything is basically  
18 in the water, so it's in the dissolved portion, so there  
19 was no source mitigation action taken other than ground  
20 water source attack with respect to MP.

21 So from that standpoint, we're  
22 approximating this to be roughly a two year period that  
23 we'll have a system in place and in operation.

24 Now the only factors that we see that  
25 have any effect potentially on this is if, in fact,

1 something brand new, in the process of our doing are  
2 particulate testing is something new that was never  
3 anticipated, as well as if there's a new technology that  
4 would come up.

5 UNIDENTIFIED MALE: Yes, one of the  
6 things that I keep coming back to is the hydrogeological  
7 conditions. Everybody seems to be making this  
8 assumption but the (Inaudible) is a very homogenous,  
9 non-porous, impermeable laying.

10 As George has pointed out, there are some  
11 areas in there which have permeability. Something else  
12 I've seen firsthand, particularly in the active zone, is  
13 that you develop fractures in the Navarro. Now I know  
14 that sounds wild that you can get crack fractures in  
15 that clay but what happens is that during the  
16 desiccation of that clay under (Inaudible) conditions,  
17 you get varying fractures, and then often what will  
18 happen is that gypsum will line those fractures and then  
19 when the thing closes up during wet periods, the gypsum  
20 acts as a prop to keep those open, and I've seen bore  
21 holes on the St. Mary's campus where you would have  
22 water pouring out of those things. So there are  
23 discreet channels through the Navarro. They're hard to  
24 find because they are very discreet.

25 UNIDENTIFIED MALE: I agree, and that's

1 (Inaudible) channels as well even. And then when you're  
2 trying to find those, we have attempted to try to come  
3 as close as we can, I agree with what you said. It's  
4 very difficult to find these things.

5 Now the only thing you can do is  
6 obviously monitor wells that have been installed to  
7 address that kind of contamination to see if, in fact,  
8 you find any kind of indication or trace.

9 At this point obviously, the Edwards is  
10 obviously being monitored on a fairly regular basis and  
11 there's not been anything, at least with respect to  
12 communication with the Edwards, that I'm aware of  
13 anyway. But there is certainly always the possibility  
14 with respect to false end fractures that something, in  
15 fact, would be going on.

16 UNIDENTIFIED MALE: What is it that's  
17 going to be completed in two years? The remedial action  
18 says completed in two years, what does that mean?

19 UNIDENTIFIED MALE: All of the Zone 3  
20 systems.

21 UNIDENTIFIED MALE: Does that mean you  
22 will have everything built in two years?

23 UNIDENTIFIED MALE: That's exactly right.

24 UNIDENTIFIED FEMALE: And by that time,  
25 you'll be able to predict how long the actual clean-up

1 will take, right?

2 UNIDENTIFIED MALE: At that point, we'll  
3 be monitoring exactly how well the system is performing  
4 and evaluate just exactly how quickly it's cleaning.

5 UNIDENTIFIED MALE: That's another good  
6 thing in terms of this quick period of optimizing the  
7 systems and putting the final fixes in place is during  
8 this very short period of time, you'll have a baseline  
9 model that's there, and it's a very good baseline model  
10 and it's been done during a very specific period of time  
11 so that it's all integrated together and can then be  
12 updated throughout.

13 UNIDENTIFIED MALE: Anything else?

14 UNIDENTIFIED MALE: Thank you very much.  
15 That was a great presentation. Thanks everyone for  
16 coming.

17 I just want to say one thing with regard  
18 to Zone 3 clean-up.

19 Miscommunication occurred. The things  
20 that some of us were asking for was clean-up of  
21 contaminated ground water in the zone, in the O'Connor  
22 Road neighborhood. So, you know, let's have another one  
23 of these soon, I hope, to discuss that. Thank you.

24 UNIDENTIFIED MALE: Thanks everyone.

25 (End of tape.)

1 THE STATE OF TEXAS )  
2 COUNTY OF BEXAR )  
3  
4

5 REPORTER'S CERTIFICATE  
6

7 I, LYNNE M. RODRIGUEZ, a Certified Shorthand  
8 Reporter in and for the State of Texas, do hereby  
9 certify that this transcript is as true and correct a  
10 record as possible, transcribed from an audio recording,  
11 of the proceedings recorded herein.

12 I further certify that I am neither attorney  
13 nor counsel for, nor related to, nor employed by any of  
14 the parties to the action in which this testimony was  
15 taken. Further, I am not a relative of any attorney of  
16 record in this cause, nor do I have a financial interest  
17 in this action.

18 SUBSCRIBED AND SWORN to on this the 24th  
19 day of September, 2007.

20  
21 Lynne M. Rodriguez  
22 LYNNE M. RODRIGUEZ, CSR  
23 for the State of Texas,  
24 Certification No. 8640  
25

**FINAL PAGE**

**ADMINISTRATIVE RECORD**

**FINAL PAGE**