

1 WURTSMITH RESTORATION ADVISORY BOARD (RAB)
2 WEDNESDAY, NOVEMBER 17, 2021
3 5:00 P.M.

4 Transcript of the proceedings
5 regarding the former Wurtsmith Air Force Base
6 being held via video teleconference technology
7 and in-person at 120 W. Dwight Street, Oscoda,
8 Michigan.

9 APPEARANCES:

10 TIM SUELTFENFUSS
11 PAULA BOND
12 GREG SCHULZ
13 TIM CUMMINGS

14 COMMUNITY RAB:

15 MARK HENRY, CO-CHAIR
16 BILL GAINES
17 JOE MAXWELL
18 DANIEL STOCK
19 DAVID WINN
20 CATHY WUSTERBARTH
21 ARNIE LERICHE

22 GOVERNMENT RAB:

23 CATHARINE VARLEY, CO-CHAIR
24 PUNEET VIJ (VIA TELECONFERENCE)
25 BETH PLACE
MICHAEL MUNSON OWAA
JESSIE STUNTEBECK (VIA TELECONFERENCE)
DENISE BRYAN (VIA TELECONFERENCE)
REX VAUGHN

26 REPORTED BY:

27 Quentina R. Snowden, (CSR-5519)
28 Certified Shorthand Reporter & Notary Public

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MEMBERS OF THE PUBLIC ADDRESSING THE BOARD:

BILL PALMER
CHRIS KULAN (PH)
SHARON VRIESENKA (VIA TELECONFERENCE)

1 (CALL TO ORDER AT 5:01 p.m.)

2 MR. SUELTFUSS: Let's go ahead and
3 begin the presentation. Great. Well, good. Good
4 evening, everybody. My name is Tim Sueltenfuss, I'd
5 like to welcome you to the WurtSmith Restoration
6 Advisory Board. I'm from Galen Driscoll, and I'll
7 serve as facilitator for tonight's meeting. Let's
8 first turn to our co-chairs for any remarks.

9 DR. VARLEY: Thank everybody for being
10 here today and for all of your participation.

11 MR. HENRY: I will echo that. Thank
12 you for joining us.

13 MR. SUELTFUSS: Thank you very much.
14 That second slide -- so we have this hybrid format
15 for our meetings. A lot of work from a lot of
16 people, so I appreciate all of the effort to make
17 this happen, to have an in-person meeting that's
18 going on now and also the current virtual meeting.

19 We have a court reporter who is online
20 and capturing a verbatim transcript of tonight's
21 meeting, and this online meeting is also being
22 recorded.

23 So, RAB members who are here in
24 person, if you have any questions, then you can pose
25 that question the old-fashioned way by raising your

1 hand.

2 Let me just see if we have any RAB
3 members who are joining by computer. And do you see
4 anyone who has joined in? If you do, please raise
5 your hand electronically and then we'll call on you.
6 Do we have any RAB members who are joining by
7 telephone, if you can raise your hand by pressing
8 star nine and lower it by pressing star nine;
9 un-mute yourself by pressing star six, and mute
10 yourself that way. This will be a bit of a process
11 to show up on our display as a telephone number, so
12 when I call -- I'll call the last four digits of the
13 phone number. Then, you'll get a prompt automated
14 voice recording saying to un-mute yourself or star
15 six, press star six, and then that voice recording
16 comes on yet again, just perhaps a confirmation to
17 say you are un-muted. So, I'll call on you and then
18 I'll wait ten seconds or so for that process. Let's
19 see. So, thank you for your patience. Next slide,
20 please.

21 Let's look at the RAB rules. We also
22 have a copy of this presentation, a hard copy for
23 those who are here, but let me just read off the RAB
24 ground rules real quick. Respect one another and
25 maintain an atmosphere of open dialogue and exchange

1 of ideas. Two, to use our time together
2 efficiently, wisely and respectfully. Three, speak
3 clearly and succinctly, one person at a time. Avoid
4 interrupting others. Number four, listen and remain
5 open to different points of view. Number five,
6 maintain a propensity for progress; prepare,
7 discuss, document and move forward. Number six,
8 share information early, openly and honestly. And
9 seven, accurately and objectively relay to others
10 the discussions that occur at these board meetings.

11 So, RAB members, do those ground rules
12 work still? Any discussion?

13 MR. HENRY: That's correct.

14 MR. SUELTENFUSS: Great. All right.
15 Also -- let's see. Let's move to the next slide,
16 and we'll look at the agenda for this evening. Long
17 night tonight. Update stakeholder and RAB members
18 as we typically do, and then we'll review RAB
19 business items. So, that will be RAB operating
20 procedures and action items. After that, we'll move
21 into the remedial investigation, interim remedial
22 action, and soil removal action update. Quite a bit
23 of time reserved towards the end of the meeting to
24 address RAB members' questions. All of those
25 portions to that point on the agenda, RAB members

1 themselves. After that, the members of the public
2 can provide comments to the RAB in three minutes.
3 Let's see.

4 During the technical presentation, we
5 will take questions.

6 And let's now just go through and
7 confirm that we have a quorum. And so I'll just go
8 through the list, and if you can just indicate your
9 presence.

10 Do we have Mr. Bill Gaines?

11 MR. GAINES: Present.

12 MR. SUELTENFUSS: Thank you, sir.

13 Mark Henry?

14 MR. HENRY: Here.

15 MR. SUELTENFUSS: Arnie Leriche?

16 MR. LERICHE: Present.

17 MR. SUELTENFUSS: Joe Maxwell?

18 MR. MAXWELL: Here.

19 MR. SUELTENFUSS: Let's see. How
20 about Daniel Stock?

21 MR. STOCK: Here, present.

22 MR. SUELTENFUSS: Thank you, sir.

23 David Winn?

24 MR. WINN: Present.

25 MR. SUELTENFUSS: Cathy Wusterbarth?

1 MS. WUSTERBARTH: Here.

2 MR. SUELTFUSS: Thank you. So,
3 those are all of the community members. And then we
4 get to the government RAB members. We have Dr.
5 Catharine Varley.

6 DR. VARLEY: Here.

7 MR. SUELTFUSS: And let's see. Do
8 we have anyone representing Au Sable Township? Eric
9 Strayer?

10 How about District Health Department
11 2? Or Michigan Department of Health and Human
12 Services?

13 And let's see. I see we have Beth
14 Place from the Michigan Department of Environment
15 Great Lakes and Energy.

16 MS. PLACE: Here.

17 MR. SUELTFUSS: Welcome.

18 (Indecipherable.)

19 MR. UNKNOWN SPEAKER: Here.

20 MR. SUELTFUSS: Thank you, sir. And
21 Oscoda Wurtsmith Airport Authority?

22 MR. MUNSON: Here.

23 MR. SUELTFUSS: Thank you, sir.
24 Sorry to sequester you over in the corner there.

25 MR. MUNSON: That's fine. Story of my

1 life.

2 MR. SUELTENFUSS: And let's see, do we
3 have Jessie Stuntebeck here, or other
4 representatives of the Forest Service?

5 Okay. Well, good. We do have a
6 quorum per the operating procedures. So, let's now
7 move to the next slide, if we could. Okay. And so
8 just a reminder here -- yes?

9 MS. UNKNOWN SPEAKER: I'm sorry, we're
10 going to check our offline (inaudible).

11 MR. SUELTENFUSS: Yes. Yeah. That
12 was the intent there, so let me just check one more
13 time to see if some of those who are not here in
14 person are with us online.

15 Do we have Ryan Mertz? And if you see
16 Ryan Mertz listed, please let me know.

17 And how about Eric Strayer or anyone
18 from Au Sable Township? And if so, if you're
19 online, please just raise your hand electronically.

20 MR. UNKNOWN SPEAKER: Do you have any?

21 MR. SUELTENFUSS: Jessie Stuntebeck
22 is? Okay. So, Jessie Stuntebeck with the USDA
23 Forest Service is on with us. Let's see. Do we
24 have Denise Bryan with District Health Department 2?
25 Yes? Okay. Great. Thank you.

1 And do we have Puneet Vij with
2 Michigan Department of Health and Human Services?
3 Yes? Great. Okay.

4 So, just one more check then. Do we
5 have anyone from Au Sable Township, Eric Stayer or
6 others?

7 Okay. Well, great. I think we have
8 everyone but Eric Strayer and Ryan Mertz on that.

9 MR. LERICHE: If we could recognize a
10 couple other community RAB members in the audience
11 and maybe online.

12 MR. SUELTENFUSS: Sure. And, Mark,
13 would you like to do that?

14 MR. HENRY: Great to see Greg.

15 MR. SUELTENFUSS: And we have Mr. Greg
16 Schulz, welcome. And let's see. I don't see anyone
17 else. Do we have Scott Lingo online perhaps? Or
18 Rex Vaughn? Rex is with us? Okay. Great.

19 MR. LERICHE: And have we had
20 communication tested by the people running the
21 online with those four or five that are on there?

22 DR. VARLEY: Yes, sir. We did a test
23 overall, so we should be able to hear everybody.

24 MR. SUELTENFUSS: Yeah, and let's just
25 -- we can just verify that right now. So, let me

1 ask Denise Bryan with District Health Department 2,
2 could you just say a word or two just to make sure
3 that we are hearing you well?

4 MS. BRYAN: Good evening. This is
5 Denise Bryan with District 2.

6 MR. SUELTFUSS: Okay. And for our
7 AV techs, if that audio can be enhanced a bit. And,
8 Denise, I'm sorry, if you could say that one more
9 time.

10 MS. BRYAN: Good evening. This is
11 Denise Bryan, health officer with District Health
12 Department Number 2.

13 MR. SUELTFUSS: Okay. All right.
14 Thank you, Denise, I appreciate it. And while we're
15 at it, let me just confirm that we have Puneet Vij
16 as well.

17 So, maybe a bit of delay. Do we have
18 Puneet Vij with Michigan Department of Health and
19 Human Services?

20 MR. VIJ: Yes, I'm here. Sorry, I was
21 not able to un-mute myself.

22 MR. SUELTFUSS: No problem at all.
23 Okay. So, it seems like we do have audio, we're
24 able to hear folks online and they're able to hear
25 us as well. Before moving forward, let me also just

1 confirm that we have Quentina Snowden on the line,
2 Court Reporter?

3 THE COURT REPORTER: Yes, I'm here.

4 MR. SUELTFUSS: Okay. Great. And,
5 Quentina, any time that you need to us stop and
6 clarify, please just jump in.

7 THE COURT REPORTER: Okay. Thank you.

8 MR. SUELTFUSS: Okay. So, let's go
9 ahead and move to the next slide then, if we could,
10 the stakeholder updates portion. Okay. And the
11 next slide as well.

12 So, we're now entering the stakeholder
13 update portion of the agenda. This topic is for RAB
14 members to provide brief updates. Let's begin with
15 the Air Force update and Dr. Varley.

16 DR. VARLEY: All right. So, I'd like
17 to introduce everybody to Steve Bolus, who is here
18 with us tonight. Steve, raise your hand.

19 All right. So, Steve is going to be
20 taking over a lot of the O and M, the operations and
21 maintenance, for our daily activities just to keep
22 everything up and running as far as equipment goes.
23 And that -- MMRP projects that I don't have time to
24 devote to. So, he's coming on board to help with
25 workload, and help balance out our programs and keep

1 going like we have been, right? Trying to get work
2 done and trying to move this project and this
3 program forward. So, Steve is new to the team.

4 I also brought with me Janine Vaughn
5 (ph). So, Janine is a toxicologist for the Air
6 Force. Her specialty is eco risk, and she is
7 helping out with our project, she's been helping out
8 since the get-go, but I haven't had a chance to
9 introduce her to the team, but she's here with me
10 today.

11 I've also got Janet Anderson with us,
12 and she is our GSI toxicologist for risk assessment
13 and for the remedial investigation assessment. And
14 Janet and Janine were here earlier today. We did a
15 training on toxicology risk assessment and what that
16 means to all of us. So, that's one of the pictures
17 that you see up there.

18 And then yesterday, we actually did a
19 site visit. So, for those of you who were able to
20 join us, you guys got to go out and see some
21 progress. So, we started the IRA. And I think
22 you'll see some more pictures of the dig and haul
23 for the concrete that was started, and we're getting
24 ready to backhoe. Any questions?

25 MR. SUELTFUSS: All right. Thank

1 you. Let's see. Let's move to the next slide then
2 if we could, and we'll kind of go down the list.
3 We'll start with community RAB members, and Mark, if
4 you don't mind starting us off.

5 MR. HENRY: Sure. The RAB has been
6 working on the operating procedures that we're going
7 to be discussing this evening. We did offer a few
8 suggestions about revising those to include all of
9 the RAB members, not primary and backup members.

10 Anyway, we've gone back and forth on
11 that. I've had a couple of technical discussions
12 with Catharine. Beyond that, we haven't done much.
13 We have had a few internal meetings and discussed a
14 few things, and that's about it.

15 MR. SUELTFUSS: Thank you for the
16 update. Let's turn to Bill Gaines then. Any
17 update?

18 MR. GAINES: No.

19 MR. SUELTFUSS: All right. Thank
20 you. Arnie, anything you'd like to share?

21 MR. LERICHE: Just one quick thing.
22 At the last RAB meeting at the break and afterwards,
23 I had a conversation with one of the Air Force
24 contractors regarding the information repository,
25 which is kept at the library, and that's where all

1 of the access help to the public will be there to
2 allow the public to understand and to see more
3 detail about the documents, actions, everything
4 that's going on. And it was a very great
5 conversation with Paula and Andrea. And with
6 changes in contractors, sometimes procedures are not
7 maintained. I want to thank them for stepping up
8 and making a significant effort into upgrading that
9 information repository, which had kind of gone down
10 in adequacy for the last 18 months, almost two
11 years. So, I want to thank them for that.

12 I hope that in the near future, we can
13 close the loop between what they've put together and
14 what the expectations of the community RAB and the
15 community in general might be if there's some other
16 things that would help the community understand,
17 agree and double check after a meeting like this, go
18 to the library, check out the documents that are
19 being discussed here.

20 So, if there's any input to us, I
21 would hope that they would contact any of the
22 community RAB or Mark, and we would try to work
23 with -- we would work with the Air Force to make
24 those improvements. So, I want to thank you guys
25 for that effort.

1 MR. SUELTFUSS: Thank you, Arnie.
2 And let's turn to Mr. Joe Maxwell. Any updates?

3 MR. MAXWELL: Well, I just got one
4 thing, and that is yesterday, the EPA finally asked
5 the science division to come up with a health
6 advisory (inaudible) as of yesterday.

7 MR. SUELTFUSS: Great. All right.
8 Thank you for that update. And let me just check
9 one last time to see if Ryan Mertz is with us on the
10 computer or on audio.

11 Okay. Mr. Stock, any updates?

12 MR. STOCK: Nothing.

13 MR. SUELTFUSS: Okay. Thank you.
14 And David Winn?

15 MR. WINN: Not at this time.

16 MR. SUELTFUSS: Cathy Wusterbarth?

17 MS. WUSTERBARTH: Yes. We -- a group
18 of community members met with the Governor earlier
19 in the month and -- just to talk about the cleanup
20 and its challenges, of course. There's some images
21 in the back in the foyer there that we presented to
22 the Governor also just to kind of get her up to
23 speed on what's going on here.

24 We also -- some members of the
25 community launched a Great Lakes PFAS Action

1 Network, which will attempt to assist other
2 communities in Michigan and the Great Lakes region
3 in terms of PFAS contamination, and we're hoping
4 that this outreach will touch some military sites in
5 the region, so that's an effort that this community
6 has (inaudible). That's what I have. Thank you.

7 MR. SUELTFUSS: All right. Thank
8 you. Okay. So, let's move to our remaining
9 government RAB members for updates as well. Let's
10 turn to Jessie Stuntebeck with USDA Forest Service.
11 Jessie, any update that you have?

12 MS. STUNTEBECK: Hi, are you guys able
13 to hear me?

14 MR. SUELTFUSS: Yes.

15 MS. STUNTEBECK: Okay. Great. So, on
16 behalf of the Forest Service, I just want to say we
17 appreciate all the communication from the Air Force
18 on what's been going on and what they've all been
19 working on. We're still in the process of reviewing
20 the draft that we got a couple months ago. I've
21 participated in the earlier conversation this
22 morning regarding toxicology and the risk
23 assessment, appreciated that a lot. I look forward
24 to participating in that as needed from the Forest
25 Service. So, that's all I have from us.

1 MR. SUELTFUSS: Jessie, we
2 appreciate that. And let's turn to Beth Place with
3 Michigan EGLE.

4 MS. PLACE: Thank you. EGLE has been
5 getting our facts checked on Air Force PFAS
6 (inaudible) comments to Air Force back at the end of
7 May, early June, and that Air Force responded to our
8 comments. And we plan to conduct our fact check
9 with responses by the end of November. That's our
10 plan. We held a town hall meeting on November 3rd
11 and provided several updates. November 14th
12 (inaudible) posted on the website, web page at
13 Michigan.gov/Wurtsmith shortly, if it's not there
14 already. And we also will be updating that website
15 in the near future with photos that we've been
16 taking while we've been performing oversight for the
17 PFAS ROI, so the majority of the time, we have a
18 representative, either our -- one of our contractors
19 or us on site. Our contractors will be slowly
20 providing that information online so folks can have
21 access to that. And I'll shoot out an e-mail to the
22 Wurtsmith subscriber list when we do that.

23 The other things that we have been
24 doing in addition to oversight, we've been
25 collecting quality assurance samples while we're

1 performing oversight. And so as we're obtaining
2 those results, we'll be sharing those with Air
3 Force, and potentially we're still working on the
4 processes there, so we'll be posting those for
5 public as well.

6 And in addition to that, we had --
7 EGLE had submitted a request to Air Force, and this
8 was something that was discussed at November 3rd
9 town hall meeting for MPART, and we had submitted a
10 request for an additional interim remedial action to
11 the Air Force, and we have not yet received a
12 response on that. And that request was made back in
13 March 23rd of 2021. And so our division director
14 will be following up with Dr. (Indecipherable) in
15 the near future on that issue and likely submitting
16 another request in writing as well. Thank you.

17 MR. SUELTFUSS: Okay. Thank you,
18 Beth. Okay. Mr. Mike Munson, let's go to Wurtsmith
19 Airport Authority.

20 MR. MUNSON: I got five bullet points
21 I'd like to go over. Our airport manager has
22 informed the board that he wants to retire, so we've
23 been working with HR looking for a replacement. The
24 space for licensing activities is ongoing, it's very
25 complicated, but we're making progress. The new

1 hangar construction is progressing. We are -- the
2 board is looking to revise the airport layout plan
3 due to some upcoming proposed project.

4 And last, but not least, the fence,
5 the perimeter fence, is a security measure. We've
6 had some trees causing some issues there, so we've
7 hired a lumbering company to trim those back so it
8 doesn't damage the fence. Thank you.

9 MR. SUELTFUSS: You are a man who
10 knows how to give a briefing. That could fit on a
11 two-inch by three-inch card.

12 MR. MUNSON: Yes. Yes. Well, I
13 mentioned that I (inaudible).

14 MR. SUELTFUSS: (Inaudible).

15 MR. MUNSON: Yes.

16 MR. SUELTFUSS: All right. Thank
17 you.

18 MR. MUNSON: Uh-huh.

19 MR. SUELTFUSS: Okay. Just checking
20 in, do we have anyone from Au Sable Township that
21 has joined since we started?

22 Okay. Let's turn to Puneet Vij with
23 the Michigan Department of Health and Human
24 Services. Any update, Puneet?

25 MR. VIJ: Yes. So, for the

1 residential well resampling update in this current
2 round two --

3 MR. SUELTFUSS: And actually, if you
4 could hold one second, let me ask our AV techs to
5 try to boost the volume there if we can.

6 MR. VIJ: Sure.

7 MR. SUELTFUSS: Stand by just one
8 second and we'll get back at you.

9 MR. VIJ: No problem.

10 MR. SUELTFUSS: I'll wait for the
11 thumbs up from them. All right. We've got the
12 thumbs up. So, Puneet, back over to you.

13 MR. VIJ: Okay. So far, residential
14 well resampling in the current round two; we
15 collected samples from 280 wells, and out of these,
16 we had is 147 non-detection and 133 detection. And
17 out of these 133 detections, there are 19 detections
18 that exceeded the (inaudible) competitive value.

19 And then related to deer and fish sign
20 replacement, the revised sign replacement will be
21 completed soon.

22 MR. SUELTFUSS: All right. Okay.
23 Thank you.

24 MR. VIJ: Okay. I was just asking, I
25 hope I was loud enough.

1 MR. SUELTFUSS: Yeah. And Puneet,
2 we had a little bit of difficulty. I wonder --
3 let's see. Let me ask if any of our support staff
4 can shoot Puneet an e-mail, and -- or Puneet, if you
5 could just shoot an e-mail to me, I think you have
6 my address, if there's anything you'd like to us
7 include in the -- the transcript of the -- of the
8 meeting. Okay. Thank you, Puneet.

9 And let's turn to Mr. Cummings with
10 Oscoda Township.

11 MR. CUMMINGS: Thank you. And I just
12 wanted to mention a reminder to some folks who've
13 been in this RAB the longest and are muted, that
14 some years ago, we had engaged the Air Force
15 (inaudible) service sewer or water and (inaudible)
16 services get rid of that water (inaudible) by the
17 gap. And it's been a topic of concern for some time
18 now. We're only in negotiations at this point after
19 there was an agreement to actually be paid to the
20 Township for that storm sewer usage -- I'm sorry,
21 storm drain usage. And so I wanted to just find out
22 from Dr. Varley and anyone else at the Air Force,
23 what is the status on this negotiation? But it's
24 certainly a protracted state, and we'd like to know
25 when this is going to come to a close.

1 DR. VARLEY: So, we are currently
2 working with the Township, as you know. Tammy,
3 myself and Dan have all met several times. We
4 talked about how we can partner together to make
5 everything work better. We do not expect to be
6 using the storm water for forever, but we do want to
7 help fix the solution. So, we are working with our
8 leadership to figure out what we can do and how to
9 move forward. The Township did provide us a letter,
10 and that is something that is undergoing review
11 right now so that we can figure out the best path
12 forward. So, we are making progress. We're not
13 stopping.

14 MR. CUMMINGS: Good. And thank you
15 for that. I don't really like the constant change
16 after that agreement occurred, but I appreciate
17 knowing that something is in progress. And so we
18 don't need to (inaudible) that here, that's not the
19 purpose of this meeting, but I -- I appreciate your
20 answer on the spot.

21 DR. VARLEY: Thank you.

22 MR. SUELTFUSS: All right. Thank
23 you, sir. And let's see. Over to Denise Bryan with
24 Department of Health District 2.

25 MS. BRYAN: Local public health does

1 not have any updates this evening, but thank you.

2 MR. SUELTFUSS: Okay. All right.
3 Well, thank you very much. And I see you're one
4 step ahead of me. Let's go ahead and move to that
5 next slide, RAB business update. So, we're now in
6 the RAB business portion of the agenda, and I think
7 there's one more slide in this section, if I
8 remember correctly. Yeah. So, we'll talk operating
9 procedures and action items as well.

10 As Mr. Henry mentioned, the RAB
11 members have been looking into possible changes to
12 the operating procedures. The operating procedures,
13 again, kind of serve as the constitution for the
14 group, they tell us our procedures and our policies,
15 and how we run meetings and so on. And I think we
16 are ready to vote to adopt those new operating
17 procedures.

18 So, we would need concurrence from
19 both the co-chairs and a majority of the RAB
20 members. We have -- let's see -- that would be over
21 51 percent of RAB members present, so that would be
22 eight of us. Let me just first turn to the co-chair
23 to see if there's anything else you'd like to say
24 before we have that vote by show of hands. Anyone?
25 Yes?

1 MR. HENRY: We've been going back and
2 forth on this. The last revisions were made today.
3 But looking over those revisions, I have no harping
4 with it, I think we can move forward.

5 MR. SUELTFUSS: Okay.

6 DR. VARLEY: Yeah, I'm impressed by,
7 you know, the amount of work that went into these,
8 and Mark's due diligence, making sure that
9 everything that we are doing now is actually
10 incorporated into these procedures. So, this is how
11 we have been operating in many respects.

12 MR. SUELTFUSS: And, Dr. Varley, you
13 e-mailed these out to all the RAB members earlier
14 today and they're also in hard copy now. So, let me
15 just see if we can go ahead and -- can we move
16 forward with a vote by show of hands? Yes, please
17 go ahead.

18 MS. WUSTERBARTH: Yeah. I'd just like
19 to request that the co-chairs maybe just touch on
20 some of the things that were changed from the prior.

21 MR. HENRY: I -- I haven't seen an
22 e-mail today.

23 MS. WUSTERBARTH: Well, I don't mean
24 necessarily the final version, but from the first
25 version to this version, what -- you know, just to

1 give some idea of what was updated.

2 DR. VARLEY: So, the big things -- big
3 rocks for me, at least, were the communications have
4 been added in. So the e-mails, the updates, the
5 moving forward as a team together, is all in there
6 now.

7 Also -- let's see. We also updated
8 all of the links so that what goes up on the AR is
9 incorporated, and what goes onto the website is
10 incorporated on that, and provides those links as to
11 what they are today.

12 MR. SUELTENFUSS: Mark, anything else
13 come to your mind, major changes --

14 MR. HENRY: The original operating
15 procedures that the RAB was utilizing had the whole
16 notion of -- of primary and back up numbers. And
17 that has been removed from this version. All of the
18 RAB membership will, in essence, be primary members
19 now. Yes.

20 The original operating procedures were
21 crafted around the situation at Wurtsmith. These
22 operating procedures were originally crafted for
23 Pease Air Force Base, and they were modified to work
24 here at Wurtsmith. And in comparing the two
25 documents, this current document seems to cover all

1 of the bases that the original one did, and fixed
2 that primary membership thing. There were a few
3 things that were left out, but I don't see them as
4 being consequential.

5 MR. SUELTFUSS: Great. Cathy, does
6 that address the question?

7 MS. WUSTERBARTH: Yeah, thanks.

8 MR. SUELTFUSS: Any other questions
9 from the RAB members on this?

10 MR. LERICHE: So, I just learned this
11 today that there was confirmation from Catharine
12 that the copying or using Pease RAB operating
13 procedures that was approved in 2017 is now a
14 template, and it was mentioned three years ago that
15 the Air Force wanted to have a more standardized
16 review of operating procedures, but it never moved
17 past that.

18 So, I hope that if that is what's
19 happening across the nine RABs in the BRAC and maybe
20 even the active, that the communication will happen
21 and you'll bring some of that information to us, how
22 that's being implemented across all of the -- the
23 Air Force at least, contamination sites where there
24 are RABs so that we don't fall behind and that we're
25 being recognized and treated in the same fashion.

1 So, I trust that that's going to happen. So, I'm
2 going to vote yes.

3 MR. SUELTFUSS: Well, good. Arnie,
4 you kind of beat me to it. Let me just ask --
5 first, we'll do it with the RAB members who are
6 present in person here. I'll ask by show of actual
7 physical real life hands, do you agree to adopt
8 these RAB operating procedures.

9 So RAB members, do you agree to adopt
10 these RAB meeting procedures? Let's see. Please
11 keep those up. Yeah, actually there's not a
12 restriction in the current RAB operating procedures.
13 Yes.

14 Okay. One, two, three, four, five,
15 six, seven, eight, nine, ten. Okay. And so, I have
16 10 of the 11 of us who are here in person voting for
17 that.

18 Let me just confirm then. Puneet, do
19 you vote to adopt the RAB operating procedures?

20 MR. VIJ: Yes.

21 MR. SUELTFUSS: And I'm sorry, can
22 you state that one more time, Puneet?

23 MR. VIJ: Yes.

24 MR. SUELTFUSS: Okay. Great. So,
25 that's 11. Thank you.

1 And to Denise Bryan?

2 MS. BRYAN: Yes.

3 MR. SUELTFUSS: Okay. That's 12.

4 Then USDA Forest Service, Jessie Stuntebeck? And,
5 Jessie, are you able to respond? Are you -- do you
6 support adopting the new operating procedures,
7 Jessie?

8 MS. STUNTEBECK: Yes, I do.

9 MR. SUELTFUSS: Great. Okay. So,
10 we received 13 affirmative votes. We needed eight,
11 which was over 51 percent of the RAB members. So,
12 these new operating procedures are adopted.
13 Co-chairs, would you like to go ahead and sign these
14 now?

15 DR. VARLEY: Mark, you want to sign?
16 A copy for you and a copy for me.

17 MR. HENRY: Sure.

18 MR. SUELTFUSS: Thank you all very
19 much. Bear with us for those on the phone while the
20 actual signing occurs.

21 Congratulations. I feel like I should
22 keep the commemorative pen. It was yours to start
23 with, so -- okay.

24 Well, so now that we have new
25 operating procedures established, we can proceed to

1 appoint, Rex Vaughn, Greg Schulz and Scott Lingo as
2 community RAB members. Co-chairs, anything to say
3 on that front?

4 MR. HENRY: Welcome aboard.

5 DR. VARLEY: I am working on the
6 paperwork. So, thank you, guys.

7 MR. SUELTFUSS: Congratulations.
8 Okay. Let's see. Let's move to action items real
9 quick. Action times. So, the co-chairs met
10 following the last RAB meeting and reviewed action
11 items. There are currently 13 open action items,
12 and I believe the standard process is for the
13 co-chairs to meet again following this RAB meeting
14 and review action items as well as the future agenda
15 items and so on. Any -- any discussion the
16 co-chairs would like to have about action items?

17 MR. HENRY: Nothing comes to mind.

18 DR. VARLEY: Working through them.

19 MR. SUELTFUSS: Okay. So before we
20 move off of the RAB business update, any other RAB
21 business that we should discuss before we move on to
22 our presentations?

23 Okay. Well, good. That was a lot.
24 Thank you all for your patience with that,
25 especially in this hybrid format. Let's move to

1 that next slide then, if we could. And we will move
2 into the Air Force technical presentation, and Paula
3 Bond with Aerostar will present. And Paula, you
4 can --

5 MS. BOND: (Inaudible) new
6 organization and trying to get everybody situated,
7 so --

8 MR. SUELTFUSS: Also, just a note to
9 all of the support staff, if there's any adjustment
10 you need us to be making, feel free to just jump up.

11 MS. BOND: I think I'll stand over
12 here. Can you guys hear me? Is this thing on?
13 Check? Okay.

14 Hopefully everybody that -- don't look
15 at me, look at the slides, but -- I'd like to thank
16 everybody for coming out tonight. It's kind of a
17 cold and miserable night here in Oscoda, but thanks
18 everybody for joining us online to celebrate
19 some -- you know, we've got some great news and
20 successes to talk about tonight as far as progress
21 on site. So, I'll just kind of give everybody an
22 update on where we are on the RI fieldwork, the IRAs
23 that we're working on, and then the soil removal
24 action that we just completed. So, if you guys
25 could move to the next slide for me.

1 So, under the RI process -- so, I'll
2 just give you a quick update here on the slide. And
3 you can see that the RI scoping work is complete.
4 The UFP-QAPP is still ongoing. We're still working
5 with EGLE on finalizing that document. The risk
6 assessment work plan is still ongoing, we're still
7 working on that with EGLE as well. The field data
8 collection is ongoing, and I'm going to talk a
9 little bit more about that as we go along. And just
10 to kind of let everybody know, I think most of you
11 that came in, we have some posters set up in the
12 back of the room. Some of the data that we've
13 collected so far during the RI fieldwork is
14 displayed on the posters, so we'll be happy to talk
15 with anybody about that data or information that
16 we've presented on the posters after the RAB as
17 well.

18 And then the last thing on this slide
19 is the RI report. Obviously, we haven't finished
20 the fieldwork, so we're not to the RI report yet.
21 And as we move through these different tasks, the
22 colors on the bubbles will change to designate
23 ongoing complete activities and -- as we move
24 forward. Next slide, please.

25 So, we'll talk a little bit about the

1 IRA for FT002 at Clark's Marsh. The folks that were
2 out yesterday that did the site walk with us were
3 able to see some of the progress that we've made out
4 there.

5 We have started prepping the site for
6 the addition for the building expansion for the
7 pre-treatment system that's going to be installed
8 out there, so we've got that kicked off. Obviously,
9 everyone knows it's wintertime, not the best time to
10 start a construction project, but we're moving
11 forward and trying to get that expeditiously moving
12 forward as we can, and get as much done before the
13 weather turns really cold on us. But, we're excited
14 about that, so that, you can see.

15 I've got some photos of that coming up
16 here too, but -- so the scoping is complete, the
17 proposed plan is complete. We've been through this
18 process. The ROD is complete. The remedial design
19 is complete. The work plan is complete. So, all
20 that's left now is to implement that action so all
21 of our circles are -- all of our bubbles are blue on
22 this slide. Next slide, please.

23 So Van Etten Lake, it's a little bit
24 different story. That one is running a little bit
25 further behind than the Clark's Marsh. Still on

1 schedule, but the IRA scoping is complete, the
2 proposed plan is complete, and we've got a couple of
3 other following tasks; interim record of decision,
4 the remedial design, and the IRA work plan, those
5 are all undergoing Air Force review currently. So,
6 we hope to get those over to EGGLE very soon, and
7 this -- the schedule for Van Etten Lake is to start
8 that work later in the spring once all of these
9 documents are signed and -- and we get approval,
10 those will move forward. Next slide, please.

11 So, just a little more detail on the
12 fieldwork update for the RI. Like I said, we have
13 posters in the back that kind of demonstrate some of
14 the -- or illustrate some of the data that we've
15 collected so far. Step one in our fieldwork process
16 was to sample existing groundwater wells at the site
17 that had not previously been sampled for PFAS. We
18 started that back in July, we finished a few weeks
19 ago in October, and we sampled 96 existing wells out
20 there that hadn't been sampled for PFAS before.

21 So, we fed that data into the next
22 step, number two -- or sorry, next step number --
23 sorry, I'm out of whack -- step number three, but
24 step number two was the soil sampling. So, we have
25 been soil sampling out there since August. We've

1 collected over a thousand samples from 231
2 locations. We're very close to being finished with
3 the soil sampling and we have to finish that up in
4 the next week or so. But, the data that we
5 collected from the groundwater well sampling is
6 feeding into step three, our vertical aquifer
7 sampling locations. And to decide finalized
8 locations for those, where we may want to go, we
9 completed that back in September with SPP meetings
10 with EGLE, and we have began the bass sampling in
11 September, and so far, we've sampled 16
12 locations and we've collected in the neighborhood of
13 100 samples so far.

14 All of our RI fieldwork is still
15 ongoing. The bass sampling, we're continuing.
16 Right now, our plan is to work probably up through
17 Christmas. If we get weather that's good enough,
18 we'll keep going, but we'll just kind of have to
19 wait and see on that, but right now, the plan is to
20 continue bass sampling through December. We won't
21 be finished with the fieldwork at that point if we
22 stop for winter weather. We will still have work to
23 be done next spring when the weather clears up for
24 us. So next slide, please.

25 So, I'll focus a little bit on FT002

1 at Clark's Marsh. Like I said, we did the site walk
2 yesterday, and I've got a couple of figures here
3 that kind of show the -- where the site is today for
4 those of you that weren't able to come out, but site
5 work began on October the 14th, and then we started
6 grading and just preparing the site for the concrete
7 slab for the addition. We got the underground
8 utilities installed out there, we got mechanical and
9 electrical, and in one of the photographs here, you
10 can see some of the plumbing that's sticking up.
11 Those are the pipings from the extraction wells that
12 we're going to put in. That's where they're going
13 to come into under the slab. And we installed a few
14 of the performance monitoring wells for the
15 treatment system that we knew the locations where
16 those were going to go, so we're trying get as much
17 work as we can done this year. So, that's kind of
18 where we are with FT002 at Clark's Marsh. Next
19 slide.

20 So, the next thing in the fieldwork
21 that we're looking at -- this is really exciting, I
22 think -- is the soil removal action at FT002. So,
23 we just completed this last week. We started out
24 there on October the 13th. We have removed 24,000
25 -- I think I have this on the next slide, but --

1 over 24,000 tons of soil. We've got some pictures
2 here on this slide, and you can kind of see where
3 the fire training area was, and there was a concrete
4 pad that was at the fire training area, and that was
5 removed back in the spring.

6 So, when that pad was removed, it kind
7 of provided an opportunity for some -- that exposed
8 soil to increase leeching from -- from the surface
9 down to the groundwater. So, that was the rationale
10 for implementing this -- this soil removal action.
11 Next slide, please.

12 So like I said, over 24,000 tons of
13 soil we removed from FT002. The soil was
14 transported to the U.S. Ecology Hazardous Waste
15 Landfill down in Belleville, Michigan. But I do
16 want to make the important distinction that even
17 though we are transporting this soil to a hazardous
18 waste landfill, this waste is not a hazardous waste,
19 but we are storing it or disposing of it in a
20 hazardous waste landfill. And we're doing that just
21 as a conservative approach at this point, because
22 that landfill is made for higher toxicity chemicals
23 so that they don't leech into the groundwater, so
24 that's kind of why we chose that method. Next
25 slide, please. Just a little bit too far. I was

1 almost finished.

2 DR. VARLEY: While we're waiting for
3 our reset -- so the big reason why we -- so the cap
4 came off, the pad came off, which allowed us to
5 actually do sampling. The sampling showed us high
6 concentrations and the probability of leeching. The
7 probability of leeching in the proximity to Clark's
8 Marsh was the reason we're doing the time-critical
9 removal action this year before we have snow and
10 everything else going right through all of that.
11 So, we pulled off -- in, what, 30 days, we removed a
12 concentration equal to or greater than what we've
13 removed from the FT002 treatment system that's been
14 operational since 2015. So -- and that's rough
15 calculations at this point.

16 MS. BOND: Yeah. So the excavation --
17 we finished excavating, like I said, last week. We
18 are ready to backfill, and we'll start doing that
19 either later this week or early next week. As most
20 of you know, this is hunting season and there's not
21 a lot of work getting done up here right now. So,
22 we'll start backfilling the hole and we hope to have
23 that done in just a couple weeks. So, that action
24 will be done. Just here's some photos of the
25 excavation, some of you got to see that yesterday.

1 But it is -- it's an impressive excavation, and we
2 did a lot of work in a very short period of time,
3 and that's thanks to a great team of people working
4 on that. So, I think that's a great success for the
5 Air Force, and we're happy to be a part of it. And
6 I think that is all I have. Next slide, maybe this
7 is the schedule.

8 So, this is just the updated fieldwork
9 timeline that I present at all of the RAB meetings.
10 This one is a little difficult to read on the slide
11 there, because it's a little faded, but everything
12 -- we've added the removal action on here. Clark's
13 Marsh -- FT002 at Clark's Marsh IRA has been
14 started, like I said, so that is on the schedule.

15 Van Etten Lake at Ken Ratliff Memorial
16 Park, that IRA, as we have moved that, pushed that
17 to start in the spring after those documents that I
18 mentioned get signed. So, we'll start that off in
19 the spring, but everything will be done by the end
20 of next year, by the fall of next year, for the IRAs
21 and the RI fieldwork. And that is all I have.

22 MR. SUELTFUSS: All right. So, any
23 questions from the RAB members?

24 MR. WINN: I've got a whole list. Can
25 I start?

1 MS. BOND: You get five minutes.

2 MR. WINN: Thanks, Paula. First
3 question, you said the FT002 is not scheduled, it's
4 all new equipment has all been purchased and
5 everything is --

6 MS. BOND: Yeah, we've got everything.
7 The building is already there (inaudible) is
8 there --

9 MR. WINN: Do you foresee any time
10 issues or --

11 MS. BOND: No. Everything has been
12 ordered. So, we're -- like I said, you know, doing
13 this in the winter was not our original plan. We
14 would much rather have started it, you know, back in
15 the summer, but everything has been ordered, it's on
16 its way, so we're going to be working through the
17 winter to get that -- everything in there, get it
18 finished.

19 MR. WINN: Air Force IRA schedule.
20 The initial schedule that you guys had back in
21 September showed a start date of 9/1 with a
22 completion date of August 22nd. This new schedule
23 now shows 11/17 with a finished date of 10/22.
24 Before, it was nine months. Now, it's seven months.

25 MS. BOND: Is that -- you're looking

1 at Clark's Marsh?

2 MR. WINN: No. That's the Air
3 Force beach.

4 MS. BOND: Oh, Van Etten Lake, yeah.

5 MR. WINN: Yeah.

6 MS. BOND: Yeah, so --

7 MR. WINN: Is that -- I mean, it looks
8 like it slipped out, because obviously you guys had
9 some --

10 DR. VARLEY: Everything took a little
11 bit longer. So, I was going for best case scenario.
12 This is me. I push everybody as hard as I can, and
13 I apologize to Paula all the time, because I push
14 until the fact that we just can't do it.

15 MR. WINN: Okay.

16 DR. VARLEY: So I pushed, and pushed,
17 and pushed, and that's one project that we just
18 couldn't get done by winter, so --

19 MR. WINN: Okay. That's fine.

20 DR. VARLEY: It will start next field
21 season.

22 MR. WINN: My question is, you
23 initially had it laid out for nine months.

24 MS. BOND: Right. So --

25 MR. WINN: The new schedule now shows

1 seven months.

2 MS. BOND: Right. So now --

3 MR. WINN: Is that because you
4 purchased equipment?

5 MS. BOND: Yeah. Yeah. Things are
6 ready to go, we're lining everything up. And
7 because we're starting --

8 MR. WINN: Okay. I just --

9 MS. BOND: -- starting earlier in the
10 spring -- so before we had it laid out on the
11 schedule, a lot of that work was being done in the
12 winter, which just slows things down, so now it will
13 all be done in better weather so we can compress
14 that schedule, and our materials --

15 MR. WINN: So now you -- you should
16 feel comfortable with this current schedule you
17 have.

18 MS. BOND: Yeah, I do.

19 DR. VARLEY: Yeah.

20 MR. WINN: Okay. Clark's Marsh ROD.
21 You stated in here the ROD is complete.

22 MS. BOND: It is, yes.

23 MR. WINN: But there are still a lot
24 of unresolved issues, you know, between EGLE and Air
25 Force. When do those issues get resolved?

1 DR. VARLEY: Yeah, of course. First
2 of all, Air Force is the lead agency.

3 MR. WINN: Yep.

4 DR. VARLEY: We went through and we
5 resolved as much as we possibly could, and we got it
6 signed so that we can move forward and start work.

7 MR. WINN: Okay.

8 DR. VARLEY: So, that's where we are
9 with it. We will continue to answer EGLE's
10 questions and do what we need to do to make sure
11 that we're trying to build that relationship and
12 gain some more consensus as we continue our projects
13 together.

14 MR. WINN: Okay. But --

15 DR. VARLEY: But the ROD is finished,
16 our ROD.

17 MR. WINN: So, those unresolved issues
18 could remain unresolved?

19 DR. VARLEY: I'm expecting still a
20 letter from EGLE providing their concurrence and
21 whatever else -- because we did come to an
22 agreement, right, Beth?

23 MS. PLACE: Yeah. So, we had a
24 meeting on Friday to discuss one of the main issues
25 still outstanding from the ROD, so you do have a

1 signed ROD there. EGLE hasn't provided our
2 concurrence letter yet, and we do have that meeting
3 on Friday to discuss the threatening state --
4 threatened and endangered species with the Clark's
5 Marsh IRA. And so I'm hoping from that meeting that
6 that issue can be resolved, and that's really one of
7 the -- the main issues.

8 The other kind of outstanding comment
9 was on performance monitoring. In the performance
10 monitoring comments that we made, we also made one
11 that FT002 system was installed. And so Air Force
12 did, you know, make changes based on EGLE's
13 comments, but there are still some that were not
14 incorporated, and I figured those are just going to
15 be documented then, they weren't incorporated. But
16 the state threatened and endangered species I
17 imagine will be resolved.

18 MR. WINN: Okay. So, both of you are
19 kind of in agreement with what needs to be done?

20 DR. VARLEY: Yeah. We both want to
21 move this project forward.

22 MR. WINN: Okay. All right. ARARs.
23 Are ARARs going to be included as part of --

24 DR. VARLEY: They were in the IROD and
25 they were sent out to everybody in that document.

1 MR. WINN: Okay. Okay.

2 DR. VARLEY: So, that's discussed and
3 determined by our lawyers, it does not happen at our
4 level. They can get consensus, and EGLE provided us
5 a letter, or your AG provided us a letter, and
6 that's what finalized so we can move forward and
7 start work. On the 11th, we started mobilization
8 with the signature.

9 MR. WINN: Okay.

10 MR. LERICHE: Excuse -- is that letter
11 -- because you referenced that in an e-mail you sent
12 us about a month and a half ago. Is that letter
13 from the AG to the Air Force been shared publicly?

14 DR. VARLEY: I can share it. I was
15 waiting for Beth's letter from -- EGLE's letter as
16 well to be able to put them together, but --

17 MR. LERICHE: And in a minute or less,
18 would it allow you to do, what did they say?

19 DR. VARLEY: It's allowed us to -- it
20 was more or less agreement on the ARARs, that's what
21 it was.

22 MR. LERICHE: Well, that's pretty
23 generic --

24 DR. VARLEY: That's it.

25 MR. LERICHE: Agreement on the list of

1 the ARARs that they submitted to you, you have now
2 accepted that same list?

3 DR. VARLEY: That are a part of the
4 IROD, yes.

5 MR. LERICHE: Including the five new
6 PFASes?

7 DR. VARLEY: No. That is not in the
8 ARARs.

9 MR. LERICHE: But it does for the
10 PFOA/PFAS, you agreed to that?

11 DR. VARLEY: It's all there in the
12 IROD. You can read it. I sent out --

13 MR. LERICHE: And we haven't received
14 that yet --

15 DR. VARLEY: Yeah, you have gotten the
16 IROD.

17 MR. WINN: You've agreed?

18 DR. VARLEY: Yes.

19 MR. WINN: Okay. All right. I want
20 to -- the FT002 soil removal, I want to -- I want to
21 make a comment. I looked at what you got over
22 there. To me, first off, I want to thank and your
23 entire crew for motivating or initiating that
24 removal. When I look at that chart over there and I
25 see the high levels of PFAS, and everybody in this

1 room has always talked about get rid of the source,
2 get rid of the source, that, to me, is -- in
3 30 days, you guys have done a heck of a job getting
4 rid of what I would consider a source. And I want
5 to know when is the next hole going be dug?

6 DR. VARLEY: I'd like to know that
7 too, sir.

8 MR. WINN: Who do we have to talk to
9 to get the next hole dug?

10 DR. VARLEY: So, what we need to do is
11 we need to keep working on our program and planning,
12 and we'll do that, and I'm glad that you support it,
13 so --

14 MR. WINN: Whatever this group -- I
15 mean, as far as I'm concerned, whatever we need to
16 do as a community to help push this along to get rid
17 of all these sources, amen, I'm ready for that. And
18 if we got to get ahold of President Biden, we'll do
19 that. Hey, I'm that serious. I mean, this is great
20 stuff. This is stuff that should have been done
21 years ago, but I'm really, really appreciative of
22 the fact that you guys have took the initiative in
23 order to do it and, like I said, I mean I can see by
24 the -- the grass there out there, there are other
25 holes that need to be dug, so -- kudos.

1 DR. VARLEY: Thank you.

2 MR. WINN: My last one is the latest
3 well -- the latest residential well sampling that
4 Puneet just talked about. There were approximately
5 120 -- 114 wells that showed detection, of which 19
6 were over at mCLs. And, Paula, I would hope that
7 EGLE or MDHHS would share that data and those
8 locations with you so that you guys can understand
9 where those detections were, because I'm going to
10 say this again, my guess is they're on the southeast
11 part of the lake. So, it would be nice for --
12 Puneet, if you're listening, I would sure hope that
13 you would share that data as well as a map or
14 something to the Air Force that shows that
15 information.

16 MS. BOND: Yeah, EGLE has been really
17 good about providing that data.

18 MR. WINN: Okay. My last question:
19 BCT meeting minutes. I have no July, no August, no
20 September, and no October. I'm finding out that --
21 and we can sit in these RAB meetings, and I can find
22 out more information from the RAB meeting than I can
23 from the BCT minutes, because they're so outdated.
24 Where does this --

25 MS. PLACE: So July, we have the

1 August meeting in September, and then we have the
2 October meeting at the end of October --

3 MR. WINN: Okay.

4 MS. PLACE: -- and those are all still
5 with me. It was difficult getting access to the
6 recordings again --

7 MR. WINN: Okay. So, when would you
8 have them to where they can be seen?

9 MS. PLACE: I can follow up with an
10 e-mail to the RAB. Again, we don't have any issue
11 of no releasing the draft minutes, that's not EGLE's
12 issue, we're not holding the draft ones, that's --

13 MR. WINN: Okay. I'm just -- and that
14 information is -- is what the community gets to see
15 what's going on.

16 MS. PLACE: Well, I understand, and
17 it's not as -- you know, it's not just as simple as
18 oh, well leave it on (inaudible) --

19 MR. WINN: I understand that.

20 MS. PLACE: -- and we have to make
21 sure those decisions are --

22 MR. WINN: The board is just making
23 sure everything is correct, I understand. But
24 again, when it comes to the meeting minutes, I find
25 that this information is -- I mean, every time I --

1 I mean, I faithfully read those every month. When I
2 find that information, I've already heard about it
3 in a RAB meeting or some other type of meeting. And
4 I would really like to -- just me, speaking myself,
5 I would really like to see that information as
6 quickly as possible.

7 MS. PLACE: Yeah, I have a few things
8 to say that -- that, and so I -- you know, I can
9 understand and I can get back to the RAB with a date
10 on when those particular ones will have our reviews
11 done. In the past, Catharine proposed potentially
12 having, you know, transcripts done from the BCTs,
13 EGLE is not opposed to that. I think it'll make it
14 easier and there will be less of a tone and
15 potential slant to some of those minutes if they're
16 going to be relied on for decisions. So that's --

17 MR. WINN: It's very important -- and
18 just -- I'd like to -- I think the group would like
19 to know when can we see that's -- if you tell me a
20 couple weeks, three weeks, that would be great.
21 Just --

22 MS. PLACE: Yeah. And I guess the
23 other thing I wanted to say to that -- sorry -- was
24 that we -- sorry -- you guys are receiving a lot of
25 information at the same time that we are now, so

1 it's not necessarily that some of the information
2 has been shared with us already. In some cases,
3 that is true, but a lot of the information
4 you -- you guys -- like, it's an e-mail to me, a
5 minute later, it's an e-mail to you. So, there's
6 not really a lot --

7 MR. WINN: But that doesn't help the
8 community. That's all I'm saying. The
9 community -- those BCT minutes are available to the
10 community to see what's going on in Oscoda and in
11 surrounding areas. Yeah, I get the e-mail, this
12 team gets e-mail, but the community doesn't know.
13 And that's what we're here to do, we're here to
14 support the community.

15 MS. PLACE: Okay.

16 MR. SUELTFUSS: Okay. And just a
17 note there, so Beth, I've kept an action e-mail RAB
18 members to advise when the BCT meeting minutes will
19 be released. Does that work for you, that action?

20 MS. PLACE: It's when I provide our
21 comments back to Air Force. I don't -- EGLE does
22 not release them to the public, that's Air Force.
23 We do post them on our website once the Air Force
24 has finalized.

25 Could you also capture an action item

1 if the BCT minutes can be transcribed? Because then
2 that will really alleviate this whole issue, and
3 they can be provided to the community in real-time.

4 MR. SUELTFUSS: Will do. And then
5 also I did -- just to go back a bit, I had an action
6 send RAB members the Michigan Attorney General's
7 letter concerning applicable, relevant and
8 appropriate requirements. Is that something you can
9 provide as well?

10 MS. PLACE: Yeah.

11 MR. SUELTFUSS: Thank you. Okay.
12 Well -- so we're still in the phase of questions
13 related to the briefing here. Let me just check in,
14 because I know it's challenging to participate on
15 this virtually. So, let me make sure and reach out
16 to Denise Bryan, Puneet Vij, and Jessie Stuntebeck
17 to see if you all have questions on presentations so
18 far. Any questions -- any questions or hands raised
19 electronically?

20 So, continuing on then with the RAB
21 members here present in person, any questions on the
22 presentation so far? Yes?

23 MS. WUSTERBARTH: I want to give a big
24 picture of the timing. The soil removal project is
25 awesome, you know, we are very, very excited about

1 that. From my understanding, this -- this was
2 recommended more than a decade ago, and it's always
3 been my concern that it's taken so long to get this
4 done, and I'm wondering, Catharine, if you have any
5 insight for us on why when you came, this suddenly
6 got done, and your predecessor did not?

7 DR. VARLEY: I have experience with
8 the projects forward, so I do need the community
9 support, and it's a team effort. We all need to be
10 in lockstep and working together.

11 So, the reason why we were able to do
12 the time-critical is everything just fell right into
13 step. It was good timing, it was a good community
14 effort, you guys were asking the right questions at
15 the right time, and we were able to start the
16 sampling and get the ball rolling, and hopefully we
17 can continue to get the ball rolling as we move
18 forward through the CERCLA process, as well as move
19 forward in IRAs, right? So, just got to keep going.

20 MS. VRIESENKA: Hey, Tim, this is
21 Sharon Vriesenga.

22 MR. SUELTFUSS: Yes, go ahead,
23 Sharon.

24 MS. VRIESENKA: I'm sorry, Catharine.
25 I didn't mean to cut you off. When you're done,

1 I'll -- no, I think Catharine is still speaking.

2 I'll let her finish.

3 MR. SUELTFUSS: Okay.

4 DR. VARLEY: Go ahead, Sharon.

5 MS. VRIESENKA: What I was going --
6 sorry about that, Catharine. What I wanted to say
7 was the reason this soil removal was done is there
8 are rules and regulations about when you can do a
9 removal action, which is what was done for this soil
10 removal at FT002. The only reason the Air Force was
11 able to do that was because the concrete cap or
12 cover was taken off as a part of the other work that
13 was going on FT002. When that was done and the soil
14 was sampled, we realized we had a scenario, as the
15 time-critical removal action memo talks about, that
16 there was an increased risk of contamination now
17 getting into the groundwater because the cap had
18 been removed. That was the driver for this removal
19 action.

20 It's not as if we can just go around
21 and start digging up a lot of contamination all over
22 wherever on the base, there has to be a driver to
23 take action this fast. This one had it. Maybe
24 we'll have that somewhere else in the base, maybe we
25 won't.

1 DR. VARLEY: But as we move forward
2 through the CERCLA process, we will get to the FS,
3 and that will be something that we need to consider,
4 is do we do more soil removal, or do we implement
5 another technology and we will get there. So,
6 capture and -- that's what we're using for the IRAs,
7 source for capture, and then clean up.

8 MS. WUSTERBARTH: Can I ask Sharon
9 what's her role in --

10 DR. VARLEY: Go ahead. Sharon, you
11 want to explain your role?

12 MS. VRIESENKA: Sorry, I had to
13 un-mute. Yeah, I should have identified myself and
14 I apologize. I'm an attorney and I advise the Air
15 Force on restoration matters at Wurtsmith Air Force
16 Base.

17 MS. WUSTERBARTH: I just -- I wanted
18 to add, and maybe I wasn't clear, is I think the
19 recommendation in the past has been to remove that
20 cap specifically. So, you know, again I'm just not
21 sure why that part wasn't done also.

22 DR. VARLEY: So, the cap was removed
23 for fields. It was a 27 work plan. When I was
24 coming on board, it was already in motion and going.
25 So, once the cap was removed, we needed to know what

1 was under it. So, we were able to sample and get
2 everything removed. And I'm extremely thankful that
3 we had such a great contracting team, because we
4 were able to pull it off in a couple weeks as far as
5 getting the contract in place and everything else,
6 and that also leads to, you know, Aerostar.

7 Aerostar was able to turn around the RFP really
8 fast, and U.S. Ecology was able to step in and get
9 the work done. So, I mean it's a team effort.

10 MS. WUSTERBARTH: I have one more
11 question, actually, regarding the soil removal
12 project. I think I'm going to ask for clarification
13 on the half of the site that it was being
14 transported to, and the coordination between areas
15 in the hazardous waste, you know, dump areas and if
16 they were above certain levels in terms of the PFAS
17 contamination. Was it separated at some point, or
18 did it all get to go into the one location, or --
19 can you expand on that?

20 MS. VRIESENKA: Yes. Yeah, so when we
21 did our initial assessment of the soil out there, we
22 did kind of a vertical profile to see. And, you
23 know, we knew that the higher concentration material
24 was in the top, you know, five feet, so based on all
25 the data we collected, we selected the top five

1 feet, which was everything over a thousand, and that
2 was a higher concentration that went into a
3 different sale of the landfill. Everything less
4 than that, and lower depth, lower concentration,
5 that went into a different area of the landfill.
6 It's the same landfill, just a separate area.

7 And, Mark, where are you? If you can
8 -- Mark is -- I'm going to put him on the spot.
9 He's with U.S. Ecology. So, if you want, anything
10 else you want to add to that?

11 MR. HENRY: We have a (inaudible) to
12 provide more, wants to know a little bit more about
13 the landfill (inaudible).

14 MS. WUSTERBARTH: Okay. Thank you.

15 MR. SUELTFUSS: Does that address
16 the questions?

17 MS. WUSTERBARTH: That's it. Thanks.

18 MR. SUELTFUSS: Any comments -- did
19 you have another question?

20 All right. I see we have a -- let me
21 go to a question from Rex Vaughn real quick and then
22 I'll turn to you, sir.

23 So Rex Vaughn, in the process along
24 with others becoming RAB members, has a question --
25 have any simulations been performed that estimate

1 the impact that the soil removal will have in the
2 shrinking of the plume flowing into Clark's Marsh?

3 MS. BOND: That is a really good
4 question. And we haven't really done simulations of
5 what the impact is going to be for removing that
6 soil, we haven't done any modeling of that yet, but
7 obviously, now that the soil is gone, we're going to
8 start really closely looking at the extraction well
9 data from FT002. Of course, it's going to take some
10 time for any action that's taken that far up
11 gradient to show an impact down where the extraction
12 wells are, or the other monitoring wells are that
13 are now closer to the treatment system itself. But,
14 yes, when those wells are sampled, we're definitely
15 going to be looking to see what impact this has had
16 on -- we haven't done modeling, though, to look at
17 that.

18 Yeah, Mark?

19 MR. HENRY: There are a bunch of
20 monitoring wells immediately down-gradient of the
21 excavation. Do you have any plans of monitoring
22 those periodically to see the short-term impacts?

23 MS. BOND: We don't have a plan to do
24 that. I know that under other sampling programs
25 that are going on out there, there are some annual

1 sampling that takes place out there at FT002. Like
2 I said, we don't have a specific plan just for the
3 dig and haul, but as data is collected for all of
4 these other activities, including the RI, all of
5 that data will be looked at just to see what the
6 impact is. But we're not focusing on that -- the
7 impact of that immediately right away by developing
8 a plan for monitoring and looking at that.

9 DR. VARLEY: Yeah. The key thing is
10 that the time-critical action was a time-critical
11 action, it was literally to remove the area directly
12 under the pad and a small area right adjacent,
13 because we were seeing signs of leeching. So, we
14 removed it as quickly as possible.

15 Now, we're back to the RI. We got to
16 look at how this will impact the RI, and moving this
17 site into a feasibility study, because it is time to
18 start looking at that.

19 MR. SUELTFUSS: Mr. Maxwell, do you
20 have a question?

21 MR. MAXWELL: Something I don't
22 understand, and that's in this statement that says
23 PFAS-impacted soils are not a hazardous waste.
24 Somehow or other, that doesn't make any sense.

25 MS. BOND: Yeah. So, there

1 is -- it's -- it gets very complicated very quickly,
2 but in short, there's a difference between
3 contaminated, where you have chemicals that are in a
4 soil or groundwater above a certain concentration,
5 or any concentration, you can call that
6 contaminated. Hazardous waste has a very specific
7 meaning, a regulatory meaning. And the definition
8 of a hazardous waste is determined through various
9 processes, testing and different things.

10 So, PFAS currently is not regulated as
11 a hazardous material by the EPA, so when we talk
12 about hazardous waste in a landfill, those are
13 hazardous wastes that have been designated that.
14 And I don't -- it has a very specific legal meaning,
15 hazardous waste, and PFAS are not designated as
16 that.

17 I'm fumbling all over myself with
18 that, but we can -- and maybe, Beth, I don't know,
19 from a state regulatory perspective, maybe you can
20 explain it.

21 MS. PLACE: I mean, I think you did a
22 fine job of explaining it. I think it really comes
23 down to how the EPA defines them --

24 MS. BOND: Yeah.

25 MS. PLACE: -- and from our

1 perspective.

2 MS. BOND: Yeah, so you can -- so you
3 can have contamination without being hazardous, I
4 guess is the whole -- yeah.

5 DR. VARLEY: They're trying to alert
6 you so you're not right in front of that camera.
7 They have two cameras going. Yeah.

8 MS. BOND: Oh, sorry. Yes, view the
9 back of my head.

10 MR. SUELTFUSS: And let's move to
11 Arnie Leriche for questions.

12 MR. LERICHE: Well, it's just a great
13 comment and some information that we learned
14 yesterday on our tour that the public may want to
15 know, and it was about the 46 pounds and the six
16 million, and comparison of the removal that you just
17 did to the six years of FT002.

18 MS. BOND: Yeah, the masks -- we did
19 just a quick calculation to -- based on the data
20 that we have, the mass of PFAS that was removed from
21 -- or I think we just did PFAS and PFOA, right? The
22 mass of PFAS and PFOA that we removed from the soil
23 in the excavation versus the mass of PFAS and PFOA
24 that have been removed with the treatment system
25 that's been pumping for six years. And the volumes

1 came out to be very similar, so just looking at
2 total mass of material that has been addressed at
3 the site.

4 MR. LERICHE: 46 pounds?

5 MS. BOND: Yeah, 46 pounds roughly at
6 both above the treatment system and the excavation.

7 DR. VARLEY: So -- all right. That's
8 not including any of the precursors that could turn
9 into PFOA/PFAS --

10 MR. LERICHE: No. No.

11 DR. VARLEY: That's not including any
12 of the other compounds, or the fuels, or anything
13 else that was at that site. So, I mean --

14 MR. LERICHE: It was more significant
15 than that.

16 DR. VARLEY: It was more significant,
17 yeah.

18 MS. BOND: Right. Yeah. We just
19 calculated PFAS and PFOA. And like we said, you
20 know, at the site, when you think 46 pounds, well,
21 maybe that doesn't sound very impressive, but when
22 you're counting it, you know, one nanogram at a
23 time, that is a lot, so -- you know, so --

24 MR. LERICHE: That would fill up a lot
25 of Olympic-size swimming pools.

1 MS. BOND: Yes, it would.

2 MR. SUELTFUSS: Other questions from
3 the RAB members?

4 MR. CUMMINGS: As somebody who's been
5 sitting here watching this over the last five years
6 or so, I was attending the BRAC meetings before the
7 Township was asked to stop attending, and the -- one
8 of the comments and observations that I had at the
9 time watching these BRAC meetings take place back
10 five years ago, was that the CERCLA process
11 proceeded at a pace that it was much slower than
12 mother nature. And at that point, I commented and
13 laid down a point that I think is kind of funny, and
14 I'm not too fond of it, because it turned out
15 (inaudible.) And I said by the time you guys figure
16 out where the perimeter lies, the problem, it will
17 have already exceeded this. And at that point, just
18 a few months later, all of a sudden we heard about
19 Van Etten Lake, and we heard about private wells
20 being contaminated.

21 So, to point -- you know, Dave Winn
22 has got a great point, and I was very happy to hear
23 about the removal of the soil, and it is wonderful
24 that we've made this progress, and it's -- Cathy,
25 it's concerning that we did talk about this ten

1 years ago. But the big concern here is for us to
2 continue the accolades, this has to maintain a speed
3 of progress. And when we hear about other folks who
4 are not on the call here, who is not present, name
5 I've forgotten, you know, where we talk about other
6 places that may or may not actually require soil
7 removal, because it hasn't been deemed necessary
8 yet, it lays down the concern that I've had now that
9 overshadows this solution. We better not be waiting
10 for another five or ten years to figure it all out.

11 DR. VARLEY: Yeah, so the
12 time-critical reaction was time-critical. It would
13 have gone above our system. I'm just being
14 straightforward honest as a scientist, it would go
15 above our system, we had to react. We have two IRAs
16 in place right now. We need to make sure we have
17 full capture, that's why we're doing the RI right
18 now. We're trying to get as much data as we
19 possibly can before winter, and then we will
20 continue as soon as we have good season again to
21 continue. That data is going to drive decisions to
22 make sure that we have capture, to make sure we have
23 containment. As long as we have containment, we
24 will continue through that CERCLA process to the FS,
25 to the proposed plan, to the ROD, to where we can

1 make decisions and have that remedial design where
2 we can do either excavation or something even
3 better. Right now, SERDP has -- SERDP-ESTCP has
4 several different technologies that should be viable
5 for this cleanup effort, and might be even better
6 for us than just digging and hauling, or pumping and
7 treating. Pumping and treating is going to take a
8 long time.

9 MR. CUMMINGS: Yes, it will.

10 DR. VARLEY: Now that we've removed a
11 big source, I expect it to take a lot less, because
12 we don't have the continuous movement continuously
13 through that area. But, we will continue. I mean,
14 you've got the best team that -- I mean, I've got
15 the best team with me, so --

16 MR. CUMMINGS: Well, and quite
17 frankly, as Cathy said, we've been through a few
18 folks who have been in your position. You've done
19 more in the short time you've been here than anybody
20 we've seen prior. I'm at least encouraged by what
21 you have been able to produce. So, I thank you
22 personally and on behalf of Oscoda Township.

23 DR. VARLEY: Thank you, sir.

24 MR. SUELTENFUSS: Okay. Mr. Leriche?

25 MR. LERICHE: Beth raised a suggested

1 action item regarding the BCT transcription of it
2 and so forth, correct?

3 MR. SUELTFUSS: Yes, I captured
4 that.

5 MR. LERICHE: Right.

6 MR. SUELTFUSS: I don't know whether
7 BCT meetings can be transcribed.

8 MR. LERICHE: Right. But in the event
9 that transcriptions are not approved, can I modify
10 that action item to include that Air Force and EGLE
11 will come up with another process so that we get
12 timely release of the BCTs?

13 DR. VARLEY: Yeah. So, transcription
14 is going to require contract mod most likely, so I
15 do need to figure that out, if we can do it and what
16 that will take.

17 MR. LERICHE: Right.

18 DR. VARLEY: As far as developing a
19 better process, Beth, I think we're open to it,
20 right?

21 MS. PLACE: Yeah.

22 MR. LERICHE: Just add it into one AI
23 so we don't have discuss this again, you'll come
24 back to us a status, right? Thanks.

25 MR. SUELTFUSS: So, determine

1 whether BCT meetings can be transcribed, consider
2 the best process by which to release BCT meeting
3 minutes in a timely fashion.

4 Okay. Other questions from the RAB
5 members?

6 MR. HENRY: Can I add a comment
7 related to the same issue? One of the more valuable
8 things that I find with BCT minutes are
9 presentations that are attached to that. If the
10 presentations themselves are non-contentious, could
11 those be distributed early?

12 DR. VARLEY: So, that's just something
13 that we've been working with. And part of what I'm
14 hoping Steve will be able to help with is that there
15 haven't been a lot of presentations. It's been a
16 lot of document review since I've been on board, and
17 we really haven't been making any real decisions.

18 So, what we've been talking about is
19 to come up with something that we're trying to work
20 towards. Making an agenda for that, making a slide
21 deck for that, then putting that out to EGLE for
22 them to review for a couple of weeks, and then us
23 getting together and talking it through during a BCT
24 so that you guys have time to review and we have
25 time to actually make decision to move the program

1 forward. So, I do think that that's something that
2 we can do. We're still working through the
3 logistics.

4 MR. HENRY: Okay.

5 MR. LERICHE: Can I ask Sharon to
6 clarify? I could not hear half of -- my hearing is
7 not great either, but when -- Sharon, are you still
8 there?

9 MS. VRIESENKA: Yes, I'm still here.

10 MR. LERICHE: Okay. When you talked
11 about the -- the critical action for the soil
12 removal and the pad, you talked about why -- how
13 that was done. And you mentioned FT002. I'm hoping
14 that you're not referring to the discussion we had
15 at the last meeting about the FT002 original GAC
16 unit and ROD that was, I believe, done. You weren't
17 tying those two together, were you? Did that make
18 sense?

19 MS. VRIESENKA: I think you're asking
20 a technical question about what drove the removal of
21 the cap?

22 MR. LERICHE: The question I asked
23 last time, last meeting, was, was the original GAC
24 unit, FT002 -- should it be part of the fourth,
25 fifth, five-year review, and there was a big

1 discussion about that, and it was kind of confusing.
2 I reread it twice, the 11 pages in the transcript on
3 that dialogue back and forth, and I just want to
4 clarify that your discussion of the time-critical
5 for this soil removal has nothing to do with -- just
6 clarify that -- has nothing to do with the GAC unit
7 FT002 --

8 DR. VARLEY: It has nothing to do with
9 this.

10 MR. LERICHE: Good. Good. It's just
11 I could not hear her clearly on some of that.
12 Right. Thank you.

13 DR. VARLEY: It's not critical removal
14 action, it was a time-critical removal action in and
15 of itself. It had nothing to do with any of the
16 other projects, versus the lead agency, we did our
17 job. We knew that the system was going to get
18 overwhelmed. We took action.

19 MR. LERICHE: Right. Right.

20 MR. SUELTFUSS: I have a request
21 just to remind everyone who's joined us online to
22 please mute yourselves. So again, to mute
23 yourselves is star six, correct, if you're dialing
24 by phone, and then you can use the mute function if
25 you're connected by computer.

1 Other questions on this presentation
2 from the RAB members?

3 All right. We are -- as Tim and I
4 both look at our watches, we are one second off of
5 the designated break time. So, let me suggest we
6 move into a break. Let's see. So, our break will
7 be for ten minutes. So 6:20 now, and we'll come
8 back at 6:30 and start up again. Thank you.

9 (Break occurred at 6:20 p.m.)

10 (Meeting reconvened at 6:31 p.m.)

11 MR. SUELTFUSS: So, this will be
12 just for any questions the RAB members may have, not
13 necessarily specific to the presentation that was
14 just given, but any other questions from the RAB
15 members? Yes, Cathy Wusterbarth?

16 MS. WUSTERBARTH: And I don't know if
17 we talked about this in the past, but I'm really
18 interested in a bunch about this project, this site,
19 seeing the numbers and, you know, where this is
20 spent and how much is getting and all of that. Is
21 there a place I can look for that?

22 DR. VARLEY: You'll be seeing the
23 action memorandum soon, so we're just finishing
24 comments on that. So, hopefully in the next week or
25 so, we'll have that ready to go public. But right

1 now, we're looking at 6 million dollars, roughly,
2 for this whole project for the time-critical removal
3 action.

4 MS. WUSTERBARTH: No -- well, we moved
5 past the time for --

6 DR. VARLEY: Oh.

7 MR. SUELTFUSS: Well, it can
8 certainly be about that presentation, but it also
9 can --

10 MS. WUSTERBARTH: No, this is just
11 about harm to, you know, our site.

12 DR. VARLEY: For this year? I
13 think --

14 MS. WUSTERBARTH: No. For, you know,
15 historically and for the future, I mean I feel
16 like --

17 DR. VARLEY: Oh. That's a very good
18 question.

19 (Multiple speakers.)

20 MS. WUSTERBARTH: -- (inaudible),
21 right? Like, we're (inaudible) numbers and we're
22 being asked to ask for money, and so --

23 DR. VARLEY: That's what I need to
24 move forward. So, the contracting officer
25 representative, so when Jordan joined me on the

1 trip, he's the one that handles the money for us,
2 right? Right now, we are waiting on a presidential
3 budget to lock in what we have for this year, but as
4 soon as we have everything, we will be moving
5 forward. I don't know what we have for next year,
6 but we will have money.

7 MS. WUSTERBARTH: How about
8 historically, where could I find --

9 DR. VARLEY: Historically?

10 MS. WUSTERBARTH: (Inaudible).

11 MR. LERICHE: The fact sheets, you've
12 already --

13 DR. VARLEY: Oh, the fact sheets would
14 have it, because that's --

15 MR. LERICHE: Right.

16 DR. VARLEY: -- (inaudible) they have
17 access.

18 MS. WUSTERBARTH: Okay.

19 DR. VARLEY: So, yeah, let me see if I
20 can get you an updated fact sheet, okay?

21 (Multiple speakers.)

22 MS. WUSTERBARTH: (Inaudible).

23 DR. VARLEY: If it's not updated, I'll
24 see if I can get it updated.

25 MR. LERICHE: Well -- yeah, that's

1 what I was just going to mention is that we used to
2 get -- at the beginning of a RAB, we used to get a
3 colorful two-page fact sheet, and a big part of it
4 was how much money has been spent, and how much
5 money will it take to complete, okay? And we
6 haven't been getting those the last three RABs. But
7 then, unbeknownst to any of us, all of a sudden what
8 showed up on the MPEG (ph) site was a different type
9 of fact sheet that is a FAQ of facts, do you
10 understand? And it's brand new, I don't know if you
11 ever even knew about it.

12 DR. VARLEY: I haven't seen it.

13 MR. LERICHE: I didn't know about it
14 either, but one of the contractors must have come up
15 with it.

16 DR. VARLEY: It wasn't any of mine, so
17 it was probably EPA.

18 MR. LERICHE: Yeah, I can show it to
19 you. But I think to answer the question, I think it
20 would be very, very helpful to communicate those
21 numbers of the historical, what's going to happen in
22 the next year, two years, at least to cover the
23 schedule we've been talking about, which is the RI
24 to finish, and that budget so that we know with
25 confidence that your management is getting you the

1 money to meet those schedules that you're committing
2 to. And if you can get your management to support
3 that being shared with us each RAB, or it wouldn't
4 change, then say nope, that last one is still
5 accurate, would be okay.

6 DR. VARLEY: I'll see what I can do.
7 And I know that Perell (ph) put some numbers in his
8 talks last year, and we'll see what we can do,
9 because I'm sure that there is a fact sheet out
10 there that we can share.

11 MS. WUSTERBARTH: Thank you.

12 MR. SUELTFUSS: Yes. Let's go to
13 Mr. Cummings first and then Mr. Maxwell.

14 MR. CUMMINGS: Thank you. This is a
15 quick question directed to Dr. Varley. Are you
16 prepared to summarize what you see are the next
17 steps for this site --

18 DR. VARLEY: Yeah.

19 MR. CUMMINGS: -- down the road?

20 DR. VARLEY: So, what we're doing
21 right now is we've collected a lot of RI data. So,
22 we're analyzing that RI data to make sure that we
23 have full capture. So, if we don't have capture,
24 then we need to step in and we need to do something
25 to expand and make sure that we are not

1 contaminating -- I mean, Au Sable or the river at
2 the Clark's Marsh, the Van Etten Lake, you know, so
3 we're going for capture as well as pursuing the
4 CERCLA process. So, remedial investigation and the
5 feasibility study, and I'd like to start those
6 feasibility studies as soon as we have enough data
7 to support it.

8 MR. SUELTENFUSS: Daniel Stock?

9 MR. STOCK: Yeah, my question to you
10 is with the Health Department as to well sampling.
11 When might we expect the results of this latest
12 round with domestic well sampling? Will that be
13 available online with the maps showing locations the
14 way the earlier --

15 MR. SUELTENFUSS: So, maybe a question
16 for Puneet Vij with the Department of Health and
17 Human Services.

18 Puneet, were you able to hear that
19 question?

20 Let me just check in again with Puneet
21 Vij?

22 Okay. Do we still have Puneet listed
23 on the meeting? Yes? Okay.

24 Puneet, we are not able to hear you
25 right now, so just for the meeting support folks,

1 can you please make sure Puneet is un-muted, and
2 then Puneet, you might need to confirm that you are
3 as well. So, Puneet, are you with us?

4 Okay. Well, technology gremlins of --
5 MS. PLACE: I can provide some and
6 then we can follow up with Puneet. Well, Puneet
7 provides the numbers, so I know it was hard to hear
8 him, but -- so he provides the numbers and the total
9 wells tested, and then which ones are above the
10 values, which may or may not be helpful.

11 We are in the process of putting
12 together -- we've talked about putting together some
13 maps they might -- likely be in EGLE -- an EGLE
14 output based on that residential well sampling, but
15 we're still in the process of verifying some of the
16 residential well coordinate locations, and so that's
17 been a problem kind of moving forward.

18 We will probably just give a general
19 type map, because it is, you know -- there are
20 privacy issues with, you know, actually putting out
21 a table with those results, but yeah, we -- that's
22 on our radar. I can't really give you a timeframe
23 right now on when that will be done, but we have
24 been working kind of the pieces to put that
25 together, more or less. And we can get back to you

1 on a timeframe. I just don't want to provide
2 something that's completely made up at this point.

3 (Multiple speakers.)

4 MR. STOCK: Hopefully (inaudible).

5 MS. PLACE: Yes. Yes. Yep.

6 MR. SUELTFUSS: Thank you for the
7 question, sir. Any other --

8 MR. VIJ: Hi, this is Puneet, can you
9 hear me?

10 MR. SUELTFUSS: Yes, we can hear
11 you. Go ahead.

12 MR. VIJ: Okay. Somehow the un-mute
13 button was not there, so I was not unable to un-mute
14 myself.

15 So, the two rounds of sampling we
16 have, the data, and then we provided the data to
17 EGLE and I agreed with what, you know, Beth
18 mentioned. And if you like, I have those figures, I
19 can show it, and maybe in the next meeting, this is
20 how the first round -- no, the second round is
21 looking.

22 MR. SUELTFUSS: So, it sounds like
23 Puneet is available to share figures at the next
24 meeting. I think that was your suggestion, Puneet;
25 is that right?

1 MR. VIJ: Yes. I can use those
2 figures in my presentation.

3 DR. VARLEY: For the next community
4 town hall.

5 MR. VIJ: I'm talking about the next
6 town hall.

7 MR. STOCK: You say 19 wells have been
8 tested. Are they all kind of clustered in one
9 place, or are they spread out into locations? You
10 have no idea.

11 MR. VIJ: They are spread out in
12 different locations. But, yes, definitely I agree
13 with you. I get your point. So, I can put together
14 a figure and I can show it in the next town hall.

15 MR. SUELTFUSS: So, that would be
16 the next town hall, the EGLE town hall.

17 MS. PLACE: Our town hall, right. And
18 then that will be available online afterwards too if
19 you --

20 MR. VIJ: Yeah.

21 MR. SUELTFUSS: And, Puneet, thank
22 you for hanging in there with the technology. We
23 appreciate your patience.

24 MR. VIJ: No problem. Thank you.

25 MR. SUELTFUSS: And while we're

1 talking to folks on the line, let me just check in
2 with Denise Bryan, Jessie Stuntebeck. Do you all
3 have any questions that you'd like to pose?

4 MS. BRYAN: Thank you very much. I do
5 not have any questions.

6 MR. SUELTFUSS: Okay. Thanks. All
7 right. Well, let's see if there are other
8 questions, other discussions with RAB members. Go
9 ahead, Arnie.

10 MR. LERICHE: Regarding the RI work
11 plan, some of us over the last few years have been
12 raising a concern that Off Base has been used too
13 extensively by the Air Force, and we're really happy
14 that you've extended that somewhat. But, the area
15 of Clark's Marsh and the State forest, I forget the
16 name of the marsh there, and the plumes that leave
17 the base all the way from the wastewater treatment
18 plant to FT002, to OT16, moving to the east, those
19 plumes, all of the way to the Au Sable River, where
20 is that being discussed in writing as part of some
21 investigation all the way to Au Sable River?

22 And second part of that is, the
23 concept in CERCLA of a secondary or a supplemental
24 source of PFAS created by the original, but now it's
25 in a place where it is disconnected from the

1 original, and that it is a source of -- unto itself
2 that will last a lot longer than the plume going
3 into FT002.

4 DR. VARLEY: So, we're doing the
5 remedial investigation right now. We're collecting
6 a lot of data. We're tracing out where the plumes
7 are and we're using that to make data-driven
8 decisions. That's what we're doing, Arnie.

9 MR. LERICHE: So, you feel you do not
10 have enough information about the plumes, including
11 the data that the State sent to you over a year ago,
12 to make -- question the -- or at least identify that
13 there is a possibility that there is -- the marsh is
14 going to be contaminating and polluting the Au Sable
15 River longer than you could ever clean up by FT002?

16 DR. VARLEY: We are -- so, what you're
17 asking, if I am being correct --

18 MR. LERICHE: Okay.

19 DR. VARLEY: -- is you're asking if
20 what's already done on Forest Service land is
21 continuing to go forward, and if there is -- we're
22 trying to do stuff. We're working with SERDP-ESTCP
23 to try and put something on three pipes, to make
24 sure that we're getting passive treatment that works
25 and maybe we can use that somewhere else as well.

1 MR. LERICHE: Okay.

2 DR. VARLEY: We're working with -- I
3 mean, we're looking at all of our resources and --

4 MR. LERICHE: That's great, but
5 there's nothing on a map that shows that you're
6 doing that, that shows that there's an operational
7 unit or a COQ -- whatever you re-numbered the
8 contamination sites last time, last year. And
9 creating an identification, here is an area where
10 the data from the State shows that that is a
11 secondary source, and therefore, give it a
12 designation, and then you can start taking that
13 apart --

14 DR. VARLEY: We're still delineating
15 the plumes, but that doesn't mean that we're -- you
16 know, we're not -- we're looking at all the data we
17 have as we have it.

18 We've got the data from the State,
19 we've got a lot of data that we've collected
20 recently, and I'm pushing these guys every day to
21 collect more, and get more geoprobes up here to
22 punch more holes in the ground, get more soil and
23 more water and everything else.

24 We are going -- I mean, as we get the
25 data, that's how we scope the projects. As we scope

1 the projects, that's how I communicate to you guys
2 this is what I'm thinking, what do you guys think --

3 MR. LERICHE: So, am I accurate in
4 saying that if you've got the data, you're analyzing
5 the data, it sounds like you have not analyzed the
6 State data that they've been taking --

7 DR. VARLEY: We have.

8 MR. LERICHE: -- the last six years.

9 DR. VARLEY: We have.

10 MR. LERICHE: So, do you have any data
11 to indicate that the GSI 12-part per trillion or
12 greater is going to Au Sable River? Are you
13 confident that that is happening or not happening?

14 DR. VARLEY: So, the off-site data
15 right now is insufficient to define contamination.

16 MR. LERICHE: Insufficient?

17 DR. VARLEY: Insufficient. We don't
18 have enough data at this point in time to define it.
19 Sorry, I'm getting phone a friend, they're giving me
20 the answers, I'm relaying them to you. I have an
21 amazing team. All I can tell you is we have
22 (inaudible) on this. So, yes, we do not currently
23 have the information to answer that question.

24 MR. LERICHE: So, is it a data gap
25 identified in the RI?

1 DR. VARLEY: It's a data gap that's
2 being filled in the RI -- by the RI.

3 MS. BOND: The answer is yes.

4 MR. LERICHE: But you have to start by
5 identifying and listing a gap.

6 MS. BOND: It is discussed in the RI
7 work plan, yes.

8 MR. LERICHE: As a gap?

9 MS. BOND: Yes.

10 MR. LERICHE: Have you seen that?

11 MS. PLACE: I don't remember off the
12 top of my head if that's labeled a data gap, but I
13 know that there is -- they are planning monitoring
14 wells south of, I believe, it's --

15 MR. LERICHE: The VAS is the vast
16 monitoring wells that were just published in a map
17 that was shared with us last month, have them just
18 below the boundary into Clark's Marsh. It's only
19 about halfway --

20 DR. VARLEY: Those are --

21 MR. SUELTENFUSS: Let me just jump in
22 real quick and turn to Dr. Varley for a response.

23 DR. VARLEY: Yes. Those are initial
24 points. Those are not our step-outs. That's where
25 we start, and then if we find contamination, we step

1 out. We're following the same approach that we did
2 for soil, the same approach. It's a tried approach.
3 You know EPA guidance.

4 MR. LERICHE: Okay. Can I ask for an
5 action item that the data gap highlight where that
6 is in the RI work plan right now so that we're all
7 talking about the same animal of where we are in the
8 process? Can that be done? Regarding Clark's
9 Marsh, the other marshes, the wastewater treatment
10 plant plumes, and the Au Sable River just in that --

11 DR. VARLEY: I don't quite understand
12 what you're asking for.

13 MR. LERICHE: I have not seen it, you
14 say you think it's there, you've seen some
15 discussion, and Paula is saying it's in there. And
16 so we've got three interpretations of what it is and
17 where it is.

18 MR. SUELTENFUSS: So, Beth, I think
19 you were about to make a comment.

20 MS. PLACE: Yeah, I don't necessarily
21 know if it was clearly identified as a data gap,
22 what exactly you're talking about, but my
23 recollection the last iteration of the remedial
24 investigation work plan did have monitoring wells
25 south of Clark's Marsh. I can't remember if I'm

1 remembering the most recent plan or not. But -- so
2 that data would help fill exactly what you're asking
3 for. So, it's filling that data gap, but I can't
4 say that that -- that data gap is clearly defined.

5 MR. LERICHE: But it's more than just
6 what's in Clark's Marsh, it's what's then further
7 going into the Au Sable River that is a data gap in
8 the way you're talking about.

9 DR. VARLEY: We go where the data
10 takes us, and that's -- I mean, that's the
11 monitoring wells that you're talking about down by
12 the Au Sable River, so yeah --

13 MS. PLACE: Yeah, they're between
14 Clark's Marsh and the Au Sable, based on my
15 recollection.

16 DR. VARLEY: We go where the data
17 takes us, and right now, we have planned wells for
18 down by the Au Sable.

19 MR. LERICHE: You do?

20 DR. VARLEY: We do.

21 MR. LERICHE: And that's shown on a
22 map in the work plan?

23 DR. VARLEY: It is.

24 MS. PLACE: In the work plan, yes.
25 Not -- not in the initial VAS locations that you

1 guys have seen, but in the work plan that we're --

2 DR. VARLEY: We haven't gotten to the
3 step of putting in monitoring wells yet.

4 MR. LERICHE: Can the three of you
5 highlight page numbers where that is so that the
6 rest of us can --

7 DR. VARLEY: The work plan is not out
8 yet, Arnie, that's the problem. We're in draft.
9 So, Beth is going to try and get me comments by the
10 end of the month, first week of December at the
11 latest, right? We're going to, as an Air Force
12 team, take those into consideration. We're going to
13 go through all of them, do what we can within policy
14 and guidance. We'll go back to EGLE or we'll meet
15 together and we'll decide a path forward together.
16 That's what we can do. We can't share a draft
17 document, that's not how things are done.

18 MR. LERICHE: I don't need the draft
19 document. I want just a statement that that topic,
20 all the way to Au Sable River, is in the RI plan,
21 it's not an addendum to the RI.

22 DR. VARLEY: It's not an addendum. It
23 is there.

24 MR. LERICHE: Okay.

25 DR. VARLEY: It is there presently.

1 We have wells along there, and we're working with
2 Forest Service to get the access to be able to do
3 that work, so --

4 MR. LERICHE: Because there is only
5 two years left in the RI.

6 MR. SUELTFUSS: So, let me just
7 check to see if there are other questions the RAB
8 members have. Yes, go ahead.

9 MR. HENRY: It's related to this same
10 thing. When is the RI work plan going to be
11 released to the public?

12 MR. LERICHE: Right.

13 DR. VARLEY: As soon as possible. The
14 goal is before March when we start the next field
15 season. So we -- what was it -- 198 comments is
16 what we got. And 200 roughly --

17 MS. PLACE: Yeah, I don't think there
18 were that many, but okay.

19 DR. VARLEY: There were a lot of
20 comments, so --

21 MS. PLACE: There were.

22 DR. VARLEY: -- we decided to address
23 it by media so that we could move into field season.
24 Otherwise, we would have lost this entire field
25 season. We would have made no progress whatsoever.

1 So, groundwater, we could agree on, right? We move
2 forward on groundwater. Soil, we had about
3 90 percent agreement, we moved forward on soil.
4 Bass, we're probably closer to 70 percent agreement,
5 we move forward on bass.

6 Now, we're getting to the point that
7 we need to actually look at what we have. We're not
8 going to finish the bass sampling this season, even
9 though, Paula, you didn't hear me say that, we're
10 going to be pushing to try to get it done, right?
11 Sorry.

12 But, yeah. No, these guys have to
13 deal with me going more always, and I push them
14 hard, and I appreciate the fact that they stick it
15 out and they continue. Paula is extremely
16 appreciated as well as the rest of the Aerostar
17 team, and all of the subcontractors that stepped in
18 to pick up the slack. So, they're doing a great job
19 and great work.

20 So, we are continuing to move forward
21 step by step by step. We will have some time to get
22 that work plan finalized between Beth's team and our
23 team, Air Force team. And then hopefully, we'll be
24 sharing that and everybody can tell us, you know, if
25 we missed something. Let us know if we missed

1 something, because we're -- it's still a fluid
2 process. We're not done. So -- and we've got a
3 whole other field season ahead of us.

4 MR. LERICHE: By the next RAB, do you
5 think?

6 DR. VARLEY: Not by the next RAB, I
7 said by March.

8 MR. LERICHE: I didn't hear that. You
9 turned to him and you -- by March for the work plan?

10 DR. VARLEY: For the work plan, that's
11 the goal, is March. Because March/April, we should
12 be back in the field again, if the field season
13 cooperates, which we've had really --

14 MR. LERICHE: That gives you less than
15 a year to do the sampling to fill those gaps
16 and -- okay.

17 DR. VARLEY: We're continuing forward.
18 I mean, we've already taken a thousand-plus
19 samples -- well, over a thousand samples in just
20 soil alone. Hundred-something in bass.
21 90-something in -- 96 in groundwater, so --

22 MR. SUELTFUSS: So, Mark, does that
23 address the question?

24 MR. HENRY: Yes, of course. Thank
25 you.

1 MS. PLACE: I have a quick comment on
2 that.

3 MR. SUELTFUSS: Go ahead.

4 MS. PLACE: So, the only other issue
5 that would come up with that would be -- I know my
6 understanding is Forest Service is also reviewing
7 the plan, and so I'm not sure how that will play
8 into these plans.

9 DR. VARLEY: Yeah. So, as Jessie has
10 questions and comments, she reaches out as well and
11 we talk. And same with Beth. So, all of us are
12 talking, and they've actually helped a lot with the
13 development of the risk assessment work plan as well
14 as the RI work plan. So, I'm grateful for that
15 collaboration.

16 MR. SUELTFUSS: And Jessie
17 Stuntebeck, anything you'd like to add on that?

18 Other questions from the RAB members?
19 Yes, sir?

20 MR. CUMMINGS: It's requested, and I
21 was wondering what is the status of the conflict
22 negotiations (inaudible) between the Air Force and
23 the Forestry Service regarding (inaudible)?

24 DR. VARLEY: It's much bigger than
25 that. We're talking about what is actually

1 happening at a DoD and USDA level for solution. And
2 RSCS is at the Forest Service as well as with the
3 Air Force are involved in trying to move our
4 projects forward.

5 So, we have good support on our team
6 to try and come up with something that we can work
7 with and move everything forward. And we had some
8 ideas today. We met this morning, and I think we're
9 going to make some progress. So I'm optimistic. We
10 have a great relationship with the local crew.

11 MR. CUMMINGS: All right. Any
12 timeframe?

13 DR. VARLEY: Before next field season.
14 That is the goal for everything right now. We
15 are -- this field season is about over. I don't
16 want to say that too loud, my contractors might hear
17 me. But, yeah. So, before next field season. I'm
18 sorry.

19 MR. SUELTFUSS: And just for the
20 meeting support staff, Jessie Stuntebeck is not able
21 to mute or un-mute herself, so if you could see if
22 you could assist her with that.

23 Other questions from the RAB members?

24 MR. LERICHE: Can I throw out one
25 regarding the ARARs and the five new groundwater

1 criteria?

2 For both Beth and Catharine, is there
3 a critical path that that has to -- that has to be
4 settled so that does not slow down your RI?

5 DR. VARLEY: For the four sets (ph),
6 is that what you're talking about?

7 MR. LERICHE: No, no --

8 MR. GAINES: I think he's talking
9 about the ARARs as they relate to going forward and
10 when you're finally going to comply with --

11 MR. LERICHE: Because what we learned
12 last meeting was that the new five PFASes has not
13 been -- according to the Air Force, has not been
14 promulgated so that you will accept them as an ARAR.
15 Is that still true, or is that --

16 DR. VARLEY: So, we are not to that
17 point yet, Arnie. That's -- so -- sorry I'm
18 confusing multiple things going on at once.

19 So right now, we are only at the RI
20 stage. We have an interim remedial action. The key
21 word is "interim". It is only for that pump and
22 treat system that is in place, that localized
23 effort. It is interim. That's what those ARARs are
24 for. Now, those give us a good starting point for
25 when we actually finish the FS and the PT ROD, those

1 will be ran into that ROD for the full site.

2 If I get my way, hopefully we can push
3 to do FT002 sooner, because we have a lot of data
4 now. We know what we're doing out there. So, if we
5 could actually start moving that site a little bit
6 further and faster, we might have a ROD in place at
7 some point in time in the next couple years. We'll
8 see. This may take a lot of work on mine and Beth's
9 part as well as everybody else's, but it's doable.

10 MR. SUELTFUSS: Arnie and Bill, does
11 that address the question?

12 MR. GAINES: It did for me.

13 MR. SUELTFUSS: All right. Any
14 other questions from the RAB members right now?

15 Okay. We're a few minutes ahead of
16 schedule, but just want to check in once again with
17 those who are on the phone, the RAB members Denise
18 Bryan, Puneet Vij, Jessie Stuntebeck, anything you'd
19 like to add?

20 MS. BRYAN: This is Denise. I do not
21 have any additional updates or comments.

22 MR. SUELTFUSS: Thanks, Denise.

23 MS. STUNTEBECK: This is Jessie. I
24 don't have anything either.

25 MR. SUELTFUSS: Thank you, and I

1 appreciate your patience with the technology,
2 Jessie.

3 MR. VIJ: I don't have anything
4 either. This is Puneet.

5 MR. SUELTENFUSS: Thanks, Puneet.

6 Okay. Well, let's advance the slide,
7 if we could, and we'll move into the public comment
8 portion of the meeting.

9 So, the RAB members had the
10 opportunity to engage in some discussion about the
11 presentation and general matters, so now we're
12 opening the floor to members of the public who would
13 like to address the RAB. Let's see. We'll start
14 with those who are -- I'll actually start with a
15 question that was posed online from Jennifer Hill,
16 and then I'll turn to those who are in person.

17 And when we do in person public
18 comments, I'll ask that you come up to this
19 microphone right here, let me point it up, and make
20 your comments there. Get real close to that
21 microphone so we can hear you.

22 Before turning to Jennifer Hill, do we
23 have a --

24 UNKNOWN SPEAKER: (Inaudible).

25 MR. SUELTENFUSS: Got it. Okay.

1 Great. Thank you.

2 Okay. So then, let me start off with
3 public comments from those who are here in person.
4 So, is there anyone here who would like to make a
5 three-minute comment to the RAB?

6 Yes, sir. Please come on up. If you
7 would like to, please share your name and just go
8 ahead and make a comment.

9 MR. PALMER: Yeah. My name is Bill
10 Palmer, I'm an Oscoda Township trustee, and several
11 years ago, the Air Force approached me to put a test
12 well on my property. And they said at the time they
13 wanted to put about three or four more. I live on
14 Van Etten Lake along the west shore. And I know
15 they put one at Ratliff Park and my property, so I'm
16 assuming they put two more somewhere near me.

17 I got a call from a resident here in
18 Oscoda who lives down at the south end of the lake
19 by the dam, and he got a letter from the Air Force
20 wanting to know if they could have permission to put
21 a test well there.

22 So, I'm just curious what the plan is
23 for the Air Force to put more of these test wells
24 along the west shore of Van Etten Lake or other
25 areas so they can let this person resident know what

1 the purpose of that is.

2 DR. VARLEY: Thanks, Bill. That's
3 great. Yes, I meant to mention that earlier. So,
4 we have a lot of rights of entry out there right now
5 so that we can actually delineate the plumes. And
6 that allows us to move forward. And right now,
7 we're moving forward in vertical aquifer sampling,
8 which is a well that -- well, we punch a hole in the
9 ground, we take samples on our way down, we collect
10 water at the water table all the way down to the
11 confining clay layer. And then, we go ahead and we
12 pull out all the tooling and we seal that well up so
13 it's no longer there, and see -- do whatever we need
14 to do. We also have some permanent wells that will
15 come in the future that we will be asking for access
16 for, and that access is extremely important to
17 understanding where we have contamination and where
18 we need to take action.

19 So, I think those that actually have
20 already signed access agreements with us and helped
21 the Air Force, and I ask that, you know, you please
22 at least consider it, because it will make
23 remediation so much better if we all do it together.

24 As far as -- I know that you have the
25 well that's been sitting there, and we do need to

1 look into whether or not we need that well, and if
2 we don't need it anymore, we do need to abandon it.
3 So, that is something that I know we've talked
4 about. Okay.

5 MS. PALMER: And I guess my question
6 was only one resident had contacted me. I'm just
7 wondering how many others you were anticipating
8 putting along in along the lake, and if they were
9 all on the west side or going to be some on the east
10 side as well.

11 DR. VARLEY: So, they're on the west
12 side, because we're stepping out from where we
13 currently are, right, and we're trying to understand
14 the plume -- that -- plumes, there's several of
15 them. And I'm trying to remember how many letters
16 we've actually sent out. We've sent out quite a
17 few. We've had four come back that are -- we have
18 four rights of entry in place right now, and then
19 we've had three people tell us that there's no way
20 that they're going to allow us access to their land,
21 and then we've had some ask well, if you -- if we
22 give you access, can you abandon these other ones
23 that were from previous work. So, we're working on
24 that and working our way through.

25 Paula, do you have a rough estimate of

1 how many we have out there or the total number?

2 MS. BOND: Yeah, I don't have the
3 exact number off the top of my head, but it's
4 around -- we sent out about 20 so far. And then
5 depending on if we get a positive response or a
6 negative response, then other letters will go out in
7 adjacent areas.

8 So, like Catharine said, we're doing
9 bass locations. We've got monitoring wells that
10 we're going to install. So, we're trying to get all
11 of our access agreements, again, working through the
12 winter when we kind of have some downtime from the
13 fieldwork to get all of the access agreements in
14 place. So, the end number will vary, how many
15 actually went out depending on how many people give
16 us permission or deny permission.

17 Some of the different things that
18 we're trying to do -- initially, we wanted to try to
19 keep everything in the right-of-ways as we could,
20 because we do have an agreement with the county to
21 do some work in the right-of-way, but there could be
22 instances where we may need access to someone's
23 property. While we're installing something, we just
24 want to make sure it's okay if -- you know, if
25 there's a truck or something parked in your driveway

1 or something for a little while, while we're doing
2 that.

3 So, that number will be fluid and
4 we'll be happy to provide that number, because we'll
5 have more information definitely by the next RAB
6 meeting on who has given us permission and who
7 hasn't, and the total number that have gone out.
8 Okay.

9 MR. SUELTFUSS: Thank you. Are
10 there other public comments from those who are here
11 with us in person?

12 MS. KULAN: Hello, I'm Chris Kulan
13 (ph), I live in Oscoda -- actually, Au Sable
14 Township, and I want to make you aware of the foam
15 on Lake Huron that we're seeing. This picture I
16 took about three miles south of the river. This
17 just shows -- I call it a foam map, because it's
18 not, like, level, it's fluffed up floating on the
19 lake, and it's all throughout this area, but this is
20 the largest concentration. It's bright white foam.
21 I think it's pretty safe to say it's not natural.
22 But we would like to have it tested.

23 So, this was on October 6th. And then
24 we had another event that was at the mouth of the
25 river that was quite large, and that was on

1 October 28th. We have asked the State to do testing
2 of the foam, and they say they will not do that,
3 because what are we going to do if we find out that
4 it is something? It's basically why do we want to
5 know if we can't do anything about it?

6 Well, I don't buy that argument. I
7 don't buy that argument with monitoring -- with
8 health monitoring in our blood, and we're hearing
9 this same thing again about the foam. So, one way
10 or another, we're going to get this tested. This is
11 about a mile from the municipal water intake on
12 shore.

13 Yesterday, there was foam on Tawas
14 Bay. The State says, oh, that's probably from
15 another source. Well, I'm doubtful. No other place
16 around here has this stuff. So, do you -- we need
17 to test these events. And we're going to keep on
18 bringing it up until we get it tested. And we're
19 working on doing that independently, however, we
20 would appreciate it if the State --

21 MR. SUELTENFUSS: Let me pause the
22 conversation -- see, if I could, Bill, if we could
23 pause real quick. Ms. Kulan, go ahead.

24 MS. KULAN: We would appreciate if the
25 State would cooperate and do at least some testing

1 of these events. This happens on our public beach
2 in the downtown area, this happens at 3 Mile, which
3 is north of town. And both of those are actually
4 north of the river.

5 So, we don't know what's going on, but
6 these things are happening, and people are seeing
7 this, children are playing in this, birds are
8 migrating through this, and pets are playing in
9 this. It's just -- we have to do something about
10 this.

11 This has been happening since -- I
12 think the first time I saw was in 2000 -- what was
13 it, '17? '16 or '17? And this year has been a
14 particularly bad year. I see it nearly every day.
15 Not to this degree, but I see some foam that you can
16 definitely tell the characteristics are there, the
17 way it clumps, the way it gathers, how it's spread
18 out, the wind conditions, all of that. We have
19 records. The state asked that we report it, and
20 we've reported, we reported. We're going to keep
21 reporting it, I guess, but they're not doing
22 anything about it. We want to know what's going on.

23 And it's got to be coming from the
24 base, and it's coming from the river out into the
25 lake, and we know that. And we -- I guess you have

1 to get all of your data to say yes, that's true, but
2 it's true. And I just want everybody to know and be
3 aware of this situation that we're seeing here in
4 Oscoda. This is what it looks like.

5 MR. SUELTFUSS: Thank you.

6 DR. VARLEY: I appreciate you bringing
7 it up. So, there are more sources than just AFFF,
8 and hopefully everybody knows that. We do have
9 septic systems out there --

10 MS. KULAN: But that's my argument to
11 test.

12 DR. VARLEY: And that's the reason to
13 -- if we do test, to make sure we're testing for
14 other tracers like caffeine and pesticides --

15 MS. KULAN: Whatever.

16 DR. VARLEY: -- and other things that
17 could be a source.

18 MS. KULAN: As long as you test it for
19 PFAS, we're happy.

20 MR. SUELTFUSS: Thank you very much
21 for your comment.

22 MS. KULAN: Thank you.

23 DR. VARLEY: Thank you.

24 MR. SUELTFUSS: Okay. And are there
25 other public comments from those who are with us

1 here in person?

2 Okay. Let me just check with meeting
3 staff to see if we have anyone who is wishing to
4 make a comment who has joined us online. If you
5 would like make a comment and you've joined us
6 online, please raise your hand. And again, if
7 you've dialed in via phone, you can hit star nine.

8 So, let's see. Do we have anybody
9 listed? Not currently. Okay. All right. We'll
10 give that a few minutes for that time lag that is
11 required sometimes to come off mute, raise hands,
12 star nine and so on.

13 Let me just check in again. Do we
14 have others here in person who would like to make a
15 comment?

16 MR. LERICHE: I had a quick one to
17 Chris's to augment what Chris has said. I've got a
18 question for Catharine and the Air Force.

19 Do you have any plans, or have you
20 already done but not published, any PFAS -- the
21 whole spectrum signature of your samples that you've
22 taken of groundwater or surface water,
23 characterization of the PFAS breakdowns and
24 different types? You know, 80 percent is PFAS, ten
25 percent is PFOA, that kind of split? Because other

1 bases have been doing that in the last two years,
2 and there's SERDP studies to show how that can be
3 done. So, is this team doing something like that?

4 DR. VARLEY: That is something that we
5 have been working on. That is correct, yes. So --

6 MR. LERICHE: "Working on" means?

7 DR. VARLEY: I've got Dr. Hunter
8 Anderson looking at that. I've been calling, I've
9 been looking at all of the data as it's collected,
10 both sides of the lake, what EGLE has provided, what
11 we have. We've been looking at the data and looking
12 at what the signatures are for the Air Force
13 compounds based off of solutions that we know
14 existed.

15 MR. LERICHE: Looking at data from
16 your samples, is what you're saying?

17 DR. VARLEY: As well as the EGLE
18 samples, correct.

19 MR. LERICHE: And do you have a
20 potential release or discussion of some of that with
21 us?

22 DR. VARLEY: No. So, as soon as
23 Hunter -- Dr. Anderson -- finishes his analysis, he
24 will share it with the group. We will bring it to
25 town.

1 MR. LERICHE: And part B is, is he or
2 someone helping to pull together what other sites
3 are doing in that topic so that we can learn from
4 them, because identifying the sources, we want to
5 know more than just well, the septic systems out
6 there. We want as much science that can be put to
7 this issue, because we're standing out like a sore
8 thumb on this foam issue.

9 DR. VARLEY: We are working with
10 SERDP, we are working with the ESTCP, we are working
11 to make sure we're collecting the data that we need
12 to advance the projects and the programs, and
13 hopefully -- I mean, the small studies that we do
14 are based on larger studies that have already been
15 done. So, we are -- we're going to get there.
16 We're not there yet, but we're going to get there.

17 MR. LERICHE: Can he share at least
18 the studies that he's identified so that we can talk
19 to our colleagues at other RAB sites or other DOT
20 sites? Can you do that much?

21 DR. VARLEY: When we get there. We're
22 not there yet.

23 MR. LERICHE: Just what studies he's
24 compiled that he's looking at, you can't share that?

25 DR. VARLEY: I can ask.

1 MR. LERICHE: Okay. Thank you.

2 MR. SUELTENFUSS: Thank you. Any
3 other public comments at the moment?

4 Okay. Well, so if we could, let's go
5 ahead and advance the slide, I think, to -- next
6 one. Let's go to the next one, if we could.

7 So, let me just -- before moving into
8 concluding remarks, just check in to see how you all
9 would like to use the remaining time that we have
10 set aside. It's 7:10 right now. We've made it
11 through the agenda with the exception of just
12 concluding remarks. How would you like to proceed?
13 Wrap up, or is there any further discussion? I
14 heard a yes --

15 MR. HENRY: I'm not opposed to more
16 discussion. If people have questions, then we have
17 people here to answer those questions and discuss.
18 I would certainly open it up for as long as the
19 questions remain.

20 MR. SUELTENFUSS: Okay. Well, what
21 questions do -- come to mind?

22 DR. VARLEY: Are there any questions?

23 If there aren't any questions, then we
24 could go back to posters or, you know, just continue
25 the conversation, and -- in the online part.

1 MR. SUELTFUSS: Yeah. So, just
2 confirming no -- no hands raised from anyone online,
3 correct? No. Okay. All right.

4 So, I think the suggestion was perhaps
5 after we address any questions there are, we could
6 kind of continue that poster discussion just in
7 small groups and so on. Any questions before we do
8 that? Yes.

9 MR. LERICHE: The posters, they're
10 great, and they were last time too. Can the Air
11 Force give us a high quality photo of each of them
12 so that we can put it in the IR and we can all have
13 our own copy of it?

14 DR. VARLEY: They will be posted on
15 the RAB website just like the last time. They're
16 all up there from the last time.

17 MR. LERICHE: But not as a PDF. PDF
18 is not going to do it for us, it's too much detail.
19 It's got to be a JPEG.

20 DR. VARLEY: Those were printed --
21 those were printed from PDF.

22 MR. LERICHE: But they're blown up,
23 but --

24 DR. VARLEY: No.

25 MR. LERICHE: Okay.

1 DR. VARLEY: They're the same. We put
2 up the exact same thing we printed them from. So,
3 we're going to do the same thing again unless, for
4 some reason, that doesn't work. I mean, you could
5 take a picture, but --

6 MR. LERICHE: If we can read the fine
7 print or --

8 DR. VARLEY: Yeah, I --

9 (Multiple speakers.)

10 MS. BOND: Yeah, I think -- Arnie, at
11 least print those posters. They are designed to be
12 those large posters, so when we make a PDF and you
13 try to print it, it doesn't, because it --

14 MR. LERICHE: Yes, exactly.

15 MS. BOND: So, yeah, I know exactly
16 what you're saying. So, just from there -- they
17 don't have a printer that can print them to the size
18 that they were meant to be.

19 DR. VARLEY: But they could, if we
20 take the same files that we put up here --

21 MS. BOND: We can -- yeah, we can --

22 DR. VARLEY: -- put those directly on
23 there --

24 MS. BOND: We can reduce those. But
25 there is -- you know, and one of the reasons we make

1 them big is because there is a lot of data on them.

2 MR. LERICHE: Right.

3 MS. BOND: So, it's a challenge to get
4 them to a size that is printable that those people
5 have 11 by 17 (inaudible) --

6 MR. LERICHE: I'd be willing to bet if
7 you took the PDF, because I used to print those, and
8 converted it to a JPEG, save it as a JPEG, and check
9 the quality of it. It's going to be a
10 high-definition JPEG now.

11 MS. BOND: Right. But when you print
12 it off on an 8 and a half by 11, there's so much
13 information on there, you're still not going to be
14 able to read it. But I'll give you a JPEG.

15 MR. LERICHE: That's fine.

16 MR. SUELTENFUSS: We are fortunate to
17 have -- at the back, we've got, like, six big minds
18 related to audio/visual stuff. So, I suggest that
19 the two of you connect on that topic with some of
20 the folks who have been supporting this meeting as
21 well.

22 Any other questions before we break
23 and move to poster session discussions? I did
24 capture a number of action items.

25 One, send the Michigan Attorney

1 General's letter about -- or relevant appropriate
2 departments so the RAB members with Beth Place to
3 advise RAB members when Michigan EGLE will provide
4 comments to the Air Force concerning the BCT meeting
5 minutes with Beth as well.

6 Number three, determine whether BCT
7 meetings can be transcribed, consider the best
8 process by which to release BCT meeting minutes and
9 relay the information in a timely fashion and
10 provide updated Wurtsmith fact sheets to RAB
11 members, include information about budget if
12 possible.

13 Okay. Well, there will be followup
14 discussion. Let me just pause the discussions that
15 we do have ongoing in the audience real quick to
16 make sure we do not pick those up on the mics.
17 There will be discussions between the co-chairs as
18 we typically do after meetings. Just turn to you
19 all for any closing comments.

20 MR. HENRY: Well, before I give a
21 closing comment, Beth sent an e-mail around that had
22 the AG's letter in it, is that it? So, that action
23 item is already taken care of.

24 MR. SUELTENFUSS: Really? Man.

25 DR. VARLEY: Good Lord, you're fast.

1 MR. SUELTFUSS: In record time.

2 MS. PLACE: That was fast.

3 DR. VARLEY: That's impressive.

4 MR. SUELTFUSS: Well, thank you. I
5 appreciate it. Very good. Well, Mark, would you
6 like to start us off?

7 MR. HENRY: I'd like to thank
8 everybody for coming. I think we've have learned a
9 fair amount about what's going on. I know in my
10 mind, I have more questions based on what we've seen
11 tonight. And I will be following that up between
12 now and the next RAB meeting, and also at the next
13 RAB. So, look forward to any discussions.

14 MR. SUELTFUSS: Dr. Varley?

15 DR. VARLEY: I'd just like to thank
16 absolutely everybody for being here, for being
17 present, for helping with communication, for working
18 on the project together. As I provide data, I
19 appreciate the feedback that some of you have
20 provided back, and I want to keep the lines of
21 communication open. So as you have questions,
22 please reach out. Let's keep it going.

23 MR. SUELTFUSS: Well, thank you very
24 much, and thank you to those who have attended in
25 whatever form that you attended. And we are


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

adjourned for the evening. Have a good night.

Thank you.

(At 7:17 p.m., the RAB meeting
concluded.)

Minutes certified by:



/s/ Quentina Rochelle Snowden, CSR-5519
QRS Court Reporting, LLC
800.308.0068, 810.691.4226
Dated: December 8, 2021

	4	17:21, 48:5, 71:17, 86:2, 95:15, 95:16, 95:20, 96:20, 96:22, 97:11, 97:13, 97:22	54:14, 109:3	airport [2] - 18:21, 19:2
'16 [1] - 100:13 '17 [2] - 100:13	46 [4] - 60:15, 61:4, 61:5, 61:20	accolades [1] - 63:2	ADVISORY [1] - 1:1	alert [1] - 60:5
/	5	according [1] - 91:13	Advisory [1] - 3:6	alleviate [1] - 51:2
/s [1] - 111:9	51 [2] - 23:21, 28:11	accurate [2] - 73:5, 81:3	advisory [1] - 15:6	allow [3] - 14:2, 44:18, 96:20
1	5:00 [1] - 1:2 5:01 [1] - 3:1	accurately [1] - 5:9	Aerostar [4] - 30:3, 55:6, 55:7, 87:16	allowed [2] - 37:4, 44:19
10 [1] - 27:16 10/22 [1] - 39:23 100 [1] - 34:13 11 [5] - 27:16, 27:25, 68:2, 108:5, 108:12 11/17 [1] - 39:23 114 [1] - 47:5 11th [1] - 44:7 12 [1] - 28:3 12-part [1] - 81:11 120 [2] - 1:4, 47:5 13 [2] - 28:10, 29:11 133 [2] - 20:16, 20:17 13th [1] - 35:24 147 [1] - 20:16 14th [2] - 17:11, 35:5 16 [1] - 34:11 17 [2] - 1:1, 108:5 18 [1] - 14:10 19 [3] - 20:17, 47:5, 77:7 198 [1] - 86:15	6 6 [1] - 70:1 6:20 [2] - 69:7, 69:9 6:30 [1] - 69:8 6:31 [1] - 69:10 6th [1] - 98:23	Action [1] - 15:25 action [42] - 5:20, 5:22, 18:10, 23:9, 29:8, 29:9, 29:10, 29:11, 29:14, 29:16, 30:24, 32:20, 35:22, 36:10, 37:9, 37:23, 38:12, 50:17, 50:19, 50:25, 51:5, 53:9, 53:15, 53:19, 53:23, 57:10, 58:10, 58:11, 65:1, 65:10, 67:11, 68:14, 68:18, 69:23, 70:3, 83:5, 91:20, 95:18, 108:24, 109:22	AFFF [1] - 101:7 afterwards [2] - 13:22, 77:18 AG [2] - 44:5, 44:13 AG's [1] - 109:22 agency [2] - 42:2, 68:16 agenda [7] - 5:16, 5:25, 11:13, 23:6, 29:14, 66:20, 105:11 ago [11] - 16:20, 21:14, 26:14, 33:19, 44:12, 46:21, 52:2, 62:10, 63:1, 79:11, 94:11 agree [5] - 14:17, 27:7, 27:9, 77:12, 87:1 agreed [3] - 45:10, 45:17, 76:17 agreement [9] - 21:19, 22:16, 42:22, 43:19, 44:20, 44:25, 87:3, 87:4, 97:20 agreements [3] - 95:20, 97:11, 97:13 ahead [20] - 3:2, 11:9, 23:4, 24:15, 24:17, 28:13, 52:22, 53:4, 54:10, 76:11, 78:9, 86:8, 88:3, 89:3, 92:15, 94:8, 95:11, 99:23, 105:5 ahold [1] - 46:18 AI [1] - 65:22 Air [48] - 1:3, 11:15, 12:5, 13:23, 14:23, 16:17, 17:5, 17:6, 17:7, 18:2, 18:7, 18:11, 21:14, 21:22, 25:23, 26:15, 26:23, 30:2, 33:5, 38:5, 39:19, 40:2, 41:24, 42:2, 43:11, 44:13, 47:14, 50:21, 50:22, 50:23, 53:10, 54:14, 54:15, 65:10, 78:13, 85:11, 87:23, 89:22, 90:3, 91:13, 94:11, 94:19, 94:23, 95:21, 102:18, 103:12, 106:10, 109:4 Airport [2] - 7:21, 18:19	allows [1] - 95:6 almost [2] - 14:10, 37:1 alone [1] - 88:20 amazing [1] - 81:21 amen [1] - 46:17 amount [2] - 24:7, 110:9 analysis [1] - 103:23 analyzed [1] - 81:5 analyzing [2] - 73:22, 81:4 Anderson [3] - 12:11, 103:8, 103:23 Andrea [1] - 14:5 animal [1] - 83:7 annual [1] - 57:25 answer [6] - 22:20, 42:9, 72:19, 81:23, 82:3, 105:17 answers [1] - 81:20 anticipating [1] - 96:7 anyway [1] - 13:10 apart [1] - 80:13 apologize [2] - 40:13, 54:14 APPEARANCES [1] - 1:6 applicable [1] - 51:7 appoint [1] - 29:1 appreciate [14] - 3:16, 10:14, 16:17, 17:2, 22:16, 22:19, 77:23, 87:14, 93:1, 99:20, 99:24, 101:6, 110:5, 110:19 appreciated [2] - 16:23, 87:16 appreciative [1] - 46:21 approach [4] - 36:21, 83:1, 83:2 approached [1] - 94:11 appropriate [2] - 51:8, 109:1 approval [1] - 33:9 approved [2] - 26:13, 65:9 aquifer [2] - 34:6, 95:7 AR [1] - 25:8 ARAR [1] - 91:14
2	9 9/1 [1] - 39:21 90 [1] - 87:3 90-something [1] - 88:21 96 [2] - 33:19, 88:21	actions [1] - 14:3 active [1] - 26:20 activities [4] - 11:21, 18:24, 31:23, 58:4 actual [2] - 27:6, 28:20 add [6] - 54:18, 56:10, 65:22, 66:6, 89:17, 92:19 added [2] - 25:4, 38:12 addendum [2] - 85:21, 85:22 addition [4] - 17:24, 18:6, 32:6, 35:7 additional [2] - 18:10, 92:21 address [9] - 5:24, 21:6, 26:6, 56:15, 86:22, 88:23, 92:11, 93:13, 106:5 addressed [1] - 61:2 ADDRESSING [1] - 2:1 adequacy [1] - 14:10 adjacent [2] - 58:12, 97:7 adjourned [1] - 111:1 adjustment [1] - 30:9 adopt [4] - 23:16, 27:7, 27:9, 27:19 adopted [1] - 28:12 adopting [1] - 28:6 advance [3] - 93:6, 104:12, 105:5 advise [3] - 50:18,	8 8 [2] - 108:12, 111:10 80 [1] - 102:24 800.308.0068 [1] - 111:10 810.691.4226 [1] - 111:10	air [1] - 65:22 Air [48] - 1:3, 11:15, 12:5, 13:23, 14:23, 16:17, 17:5, 17:6, 17:7, 18:2, 18:7, 18:11, 21:14, 21:22, 25:23, 26:15, 26:23, 30:2, 33:5, 38:5, 39:19, 40:2, 41:24, 42:2, 43:11, 44:13, 47:14, 50:21, 50:22, 50:23, 53:10, 54:14, 54:15, 65:10, 78:13, 85:11, 87:23, 89:22, 90:3, 91:13, 94:11, 94:19, 94:23, 95:21, 102:18, 103:12, 106:10, 109:4 Airport [2] - 7:21, 18:19
3	A abandon [2] - 96:2, 96:22 able [24] - 9:23, 10:21, 10:24, 12:19, 16:12, 28:5, 32:3, 35:4, 44:16, 52:11, 52:15, 53:11, 55:1, 55:4, 55:7, 55:8, 64:21, 66:14, 74:18, 74:24, 86:2, 90:20, 108:14 aboard [1] - 29:4 absolutely [1] - 110:16 accept [1] - 91:14 accepted [1] - 45:2 access [13] - 14:1,	2 2 [6] - 7:11, 8:24, 10:1, 10:5, 10:12, 22:24 20 [1] - 97:4 200 [1] - 86:16 2000 [1] - 100:12 2015 [1] - 37:14 2017 [1] - 26:13 2021 [3] - 1:1, 18:13, 111:10 22nd [1] - 39:22 231 [1] - 34:1 23rd [1] - 18:13 24,000 [3] - 35:24, 36:1, 36:12 27 [1] - 54:23 280 [1] - 20:15 28th [1] - 99:1	3 3 [1] - 100:2 30 [2] - 37:11, 46:3 3rd [2] - 17:10, 18:8	

<p>ARARs [8] - 43:22, 43:23, 44:20, 45:1, 45:8, 90:25, 91:9, 91:23</p> <p>area [11] - 36:3, 36:4, 56:5, 56:6, 58:11, 58:12, 64:13, 78:14, 80:9, 98:19, 100:2</p> <p>areas [5] - 50:11, 55:14, 55:15, 94:25, 97:7</p> <p>argument [3] - 99:6, 99:7, 101:10</p> <p>ARNIE [1] - 1:13</p> <p>Arnie [11] - 6:15, 13:20, 15:1, 27:3, 60:11, 78:9, 79:8, 85:8, 91:17, 92:10, 107:10</p> <p>aside [1] - 105:10</p> <p>assessment [7] - 12:12, 12:13, 12:15, 16:23, 31:6, 55:21, 89:13</p> <p>assist [2] - 16:1, 90:22</p> <p>assuming [1] - 94:16</p> <p>assurance [1] - 17:25</p> <p>AT [1] - 3:1</p> <p>atmosphere [1] - 4:25</p> <p>attached [1] - 66:9</p> <p>attempt [1] - 16:1</p> <p>attended [2] - 110:24, 110:25</p> <p>attending [2] - 62:6, 62:7</p> <p>Attorney [2] - 51:6, 108:25</p> <p>attorney [1] - 54:14</p> <p>Au [16] - 7:8, 8:18, 9:5, 19:20, 74:1, 78:19, 78:21, 79:14, 81:12, 83:10, 84:7, 84:12, 84:14, 84:18, 85:20, 98:13</p> <p>audience [2] - 9:10, 109:15</p> <p>audio [3] - 10:7, 10:23, 15:10</p> <p>audio/visual [1] - 108:18</p> <p>augment [1] - 102:17</p> <p>August [4] - 33:25, 39:22, 47:19, 48:1</p> <p>Authority [2] - 7:21, 18:19</p> <p>automated [1] - 4:13</p> <p>AV [2] - 10:7, 20:4</p> <p>available [4] - 50:9, 74:13, 76:23, 77:18</p> <p>avoid [1] - 5:3</p>	<p>aware [2] - 98:14, 101:3</p> <p>awesome [1] - 51:25</p> <hr/> <p style="text-align: center;">B</p> <hr/> <p>backfill [1] - 37:18</p> <p>backfilling [1] - 37:22</p> <p>backhoe [1] - 12:24</p> <p>backup [1] - 13:9</p> <p>bad [1] - 100:14</p> <p>balance [1] - 11:25</p> <p>ball [2] - 52:16, 52:17</p> <p>Base [4] - 1:3, 25:23, 54:16, 78:12</p> <p>base [4] - 53:22, 53:24, 78:17, 100:24</p> <p>based [8] - 43:12, 55:24, 60:19, 75:14, 84:14, 103:13, 104:14, 110:10</p> <p>bases [2] - 26:1, 103:1</p> <p>bass [8] - 34:10, 34:15, 34:20, 87:4, 87:5, 87:8, 88:20, 97:9</p> <p>Bay [1] - 99:14</p> <p>BCT [14] - 47:19, 47:23, 50:9, 50:18, 51:1, 65:1, 65:7, 66:1, 66:2, 66:8, 66:23, 109:4, 109:6, 109:8</p> <p>BCTs [2] - 49:12, 65:12</p> <p>beach [2] - 40:3, 100:1</p> <p>bear [1] - 28:19</p> <p>beat [1] - 27:4</p> <p>becoming [1] - 56:24</p> <p>began [2] - 34:10, 35:5</p> <p>begin [2] - 3:3, 11:14</p> <p>beginning [1] - 72:2</p> <p>behalf [2] - 16:16, 64:22</p> <p>behind [2] - 26:24, 32:25</p> <p>Belleville [1] - 36:15</p> <p>below [1] - 82:18</p> <p>best [7] - 22:11, 32:9, 40:11, 64:14, 64:15, 66:2, 109:7</p> <p>bet [1] - 108:6</p> <p>Beth [16] - 7:13, 17:2, 18:18, 42:22, 50:17, 59:18, 64:25, 65:19, 76:17, 83:18, 85:9, 89:11, 91:2, 109:2, 109:5, 109:21</p> <p>BETH [1] - 1:17</p>	<p>Beth's [3] - 44:15, 87:22, 92:8</p> <p>better [7] - 22:5, 41:13, 63:9, 64:3, 64:5, 65:19, 95:23</p> <p>between [9] - 14:13, 41:24, 55:14, 59:2, 84:13, 87:22, 89:22, 109:17, 110:11</p> <p>beyond [1] - 13:12</p> <p>Biden [1] - 46:18</p> <p>big [10] - 25:2, 37:3, 51:23, 63:1, 64:11, 67:25, 72:3, 108:1, 108:17</p> <p>bigger [1] - 89:24</p> <p>bill [1] - 6:10</p> <p>BILL [2] - 1:11, 2:2</p> <p>Bill [5] - 13:16, 92:10, 94:9, 95:2, 99:22</p> <p>birds [1] - 100:7</p> <p>bit [15] - 4:10, 5:22, 10:7, 10:17, 21:2, 31:9, 31:25, 32:23, 32:24, 34:25, 36:25, 40:11, 51:5, 56:12, 92:5</p> <p>blood [1] - 99:8</p> <p>blown [1] - 106:22</p> <p>blue [1] - 32:21</p> <p>Board [1] - 3:6</p> <p>BOARD [2] - 1:1, 2:1</p> <p>board [7] - 5:10, 11:24, 18:22, 19:2, 48:22, 54:24, 66:16</p> <p>Bolus [1] - 11:17</p> <p>BOND [37] - 1:7, 30:5, 30:11, 37:16, 39:1, 39:6, 39:11, 39:25, 40:4, 40:6, 40:24, 41:2, 41:5, 41:9, 41:18, 41:22, 47:16, 57:3, 57:23, 58:25, 59:24, 60:2, 60:8, 60:18, 61:5, 61:18, 62:1, 82:3, 82:6, 82:9, 97:2, 107:10, 107:15, 107:21, 107:24, 108:3, 108:11</p> <p>Bond [1] - 30:3</p> <p>boost [1] - 20:5</p> <p>boundary [1] - 82:18</p> <p>BRAC [3] - 26:19, 62:6, 62:9</p> <p>brand [1] - 72:10</p> <p>break [5] - 13:22, 69:5, 69:6, 108:22</p> <p>Break [1] - 69:9</p> <p>breakdowns [1] - 102:23</p>	<p>brief [1] - 11:14</p> <p>briefing [2] - 19:10, 51:13</p> <p>bright [1] - 98:20</p> <p>bring [2] - 26:21, 103:24</p> <p>bringing [2] - 99:18, 101:6</p> <p>brought [1] - 12:4</p> <p>BRYAN [7] - 1:18, 10:4, 10:10, 22:25, 28:2, 78:4, 92:20</p> <p>Bryan [9] - 8:24, 10:1, 10:5, 10:11, 22:23, 28:1, 51:16, 78:2, 92:18</p> <p>bubbles [2] - 31:22, 32:21</p> <p>budget [3] - 71:3, 72:24, 109:11</p> <p>build [1] - 42:11</p> <p>building [2] - 32:6, 39:7</p> <p>bullet [1] - 18:20</p> <p>bunch [2] - 57:19, 69:18</p> <p>business [5] - 5:19, 23:5, 23:6, 29:20, 29:21</p> <p>button [1] - 76:13</p> <p>buy [2] - 99:6, 99:7</p> <p>BY [1] - 1:20</p> <hr/> <p style="text-align: center;">C</p> <hr/> <p>caffeine [1] - 101:14</p> <p>calculated [1] - 61:19</p> <p>calculation [1] - 60:19</p> <p>calculations [1] - 37:15</p> <p>CALL [1] - 3:1</p> <p>camera [1] - 60:6</p> <p>cameras [1] - 60:7</p> <p>cap [7] - 37:3, 53:11, 53:17, 54:20, 54:22, 54:25, 67:21</p> <p>capture [9] - 50:25, 54:6, 54:7, 63:17, 63:22, 73:23, 74:3, 108:24</p> <p>captured [1] - 65:3</p> <p>capturing [1] - 3:20</p> <p>card [1] - 19:11</p> <p>care [1] - 109:23</p> <p>case [1] - 40:11</p> <p>cases [1] - 50:2</p> <p>Catharine [11] - 7:5, 13:12, 26:11, 49:11, 52:4, 52:24, 53:1, 53:6, 91:2, 97:8, 102:18</p>	<p>CATHARINE [1] - 1:16</p> <p>Cathy [6] - 6:25, 15:16, 26:5, 62:24, 64:17, 69:15</p> <p>CATHY [1] - 1:13</p> <p>causing [1] - 19:6</p> <p>celebrate [1] - 30:18</p> <p>CERCLA [6] - 52:18, 54:2, 62:10, 63:24, 74:4, 78:23</p> <p>certain [2] - 55:16, 59:4</p> <p>certainly [3] - 21:24, 70:8, 105:18</p> <p>certified [1] - 111:5</p> <p>Certified [1] - 1:21</p> <p>CHAIR [2] - 1:10, 1:16</p> <p>chair [1] - 23:22</p> <p>chairs [9] - 3:8, 23:19, 24:19, 28:13, 29:2, 29:9, 29:13, 29:16, 109:17</p> <p>challenge [1] - 108:3</p> <p>challenges [1] - 15:20</p> <p>challenging [1] - 51:14</p> <p>chance [1] - 12:8</p> <p>change [3] - 22:15, 31:22, 73:4</p> <p>changed [1] - 24:20</p> <p>changes [4] - 14:6, 23:11, 25:13, 43:12</p> <p>characteristics [1] - 100:16</p> <p>characterization [1] - 102:23</p> <p>chart [1] - 45:24</p> <p>check [17] - 8:10, 8:12, 9:4, 14:17, 14:18, 15:8, 17:8, 30:13, 51:13, 74:20, 78:1, 86:7, 92:16, 102:2, 102:13, 105:8, 108:8</p> <p>checked [1] - 17:5</p> <p>checking [1] - 19:19</p> <p>chemicals [2] - 36:22, 59:3</p> <p>children [1] - 100:7</p> <p>chose [1] - 36:24</p> <p>CHRIS [1] - 2:2</p> <p>Chris [2] - 98:12, 102:17</p> <p>Chris's [1] - 102:17</p> <p>Christmas [1] - 34:17</p> <p>circles [1] - 32:21</p> <p>clarification [1] - 55:12</p>
---	--	---	---	---

<p>clarify [4] - 11:6, 67:6, 68:4, 68:6</p> <p>Clark's [18] - 32:1, 32:25, 35:1, 35:18, 37:7, 38:12, 38:13, 40:1, 41:20, 43:4, 57:2, 74:2, 78:15, 82:18, 83:8, 83:25, 84:6, 84:14</p> <p>clay [1] - 95:11</p> <p>clean [2] - 54:7, 79:15</p> <p>cleanup [2] - 15:19, 64:5</p> <p>clear [1] - 54:18</p> <p>clearly [4] - 5:3, 68:11, 83:21, 84:4</p> <p>clears [1] - 34:23</p> <p>close [4] - 14:13, 21:25, 34:2, 93:20</p> <p>closely [1] - 57:8</p> <p>closer [2] - 57:13, 87:4</p> <p>closing [2] - 109:19, 109:21</p> <p>clumps [1] - 100:17</p> <p>clustered [1] - 77:8</p> <p>CO [2] - 1:10, 1:16</p> <p>co [10] - 3:8, 23:19, 23:22, 24:19, 28:13, 29:2, 29:9, 29:13, 29:16, 109:17</p> <p>co-chair [1] - 23:22</p> <p>CO-CHAIR [2] - 1:10, 1:16</p> <p>co-chairs [9] - 3:8, 23:19, 24:19, 28:13, 29:2, 29:9, 29:13, 29:16, 109:17</p> <p>cold [2] - 30:17, 32:13</p> <p>collaboration [1] - 89:15</p> <p>colleagues [1] - 104:19</p> <p>collect [2] - 80:21, 95:9</p> <p>collected [11] - 20:15, 31:13, 33:15, 34:1, 34:5, 34:12, 55:25, 58:3, 73:21, 80:19, 103:9</p> <p>collecting [3] - 17:25, 79:5, 104:11</p> <p>collection [1] - 31:8</p> <p>colorful [1] - 72:3</p> <p>colors [1] - 31:22</p> <p>comfortable [1] - 41:16</p> <p>coming [7] - 11:24, 30:16, 32:15, 54:24, 100:23, 100:24,</p>	<p>110:8</p> <p>commemorative [1] - 28:22</p> <p>comment [14] - 43:8, 45:21, 60:13, 66:6, 83:19, 89:1, 93:7, 94:5, 94:8, 101:21, 102:4, 102:5, 102:15, 109:21</p> <p>commented [1] - 62:12</p> <p>comments [22] - 6:2, 17:6, 17:8, 43:10, 43:13, 50:21, 56:18, 62:8, 69:24, 85:9, 86:15, 86:20, 89:10, 92:21, 93:18, 93:20, 94:3, 98:10, 101:25, 105:3, 109:4, 109:19</p> <p>committing [1] - 73:1</p> <p>communicate [2] - 72:20, 81:1</p> <p>communication [5] - 9:20, 16:17, 26:20, 110:17, 110:21</p> <p>communications [1] - 25:3</p> <p>communities [1] - 16:2</p> <p>community [22] - 7:3, 9:10, 13:3, 14:14, 14:15, 14:16, 14:22, 15:18, 15:25, 16:5, 29:2, 46:16, 48:14, 50:8, 50:9, 50:10, 50:12, 50:14, 51:3, 52:8, 52:13, 77:3</p> <p>COMMUNITY [1] - 1:9</p> <p>company [1] - 19:7</p> <p>comparing [1] - 25:24</p> <p>comparison [1] - 60:16</p> <p>competitive [1] - 20:18</p> <p>compiled [1] - 104:24</p> <p>complete [11] - 31:3, 31:23, 32:16, 32:17, 32:18, 32:19, 33:1, 33:2, 41:21, 72:5</p> <p>completed [4] - 20:21, 30:24, 34:9, 35:23</p> <p>completely [1] - 76:2</p> <p>completion [1] - 39:22</p> <p>complicated [2] - 18:25, 59:1</p> <p>comply [1] - 91:10</p> <p>compounds [2] - 61:12, 103:13</p> <p>compress [1] - 41:13</p> <p>computer [3] - 4:3,</p>	<p>15:10, 68:25</p> <p>concentration [7] - 37:12, 55:23, 56:2, 56:4, 59:4, 59:5, 98:20</p> <p>concentrations [1] - 37:6</p> <p>concept [1] - 78:23</p> <p>concern [5] - 21:17, 52:3, 63:1, 63:8, 78:12</p> <p>concerned [1] - 46:15</p> <p>concerning [3] - 51:7, 62:25, 109:4</p> <p>concluded [1] - 111:4</p> <p>concluding [2] - 105:8, 105:12</p> <p>concrete [4] - 12:23, 35:6, 36:3, 53:11</p> <p>concurrence [3] - 23:18, 42:20, 43:2</p> <p>conditions [1] - 100:18</p> <p>conduct [1] - 17:8</p> <p>confidence [1] - 72:25</p> <p>confident [1] - 81:13</p> <p>confining [1] - 95:11</p> <p>confirm [5] - 6:7, 10:15, 11:1, 27:18, 75:2</p> <p>confirmation [2] - 4:16, 26:11</p> <p>confirming [1] - 106:2</p> <p>conflict [1] - 89:21</p> <p>confusing [2] - 68:1, 91:18</p> <p>congratulations [2] - 28:21, 29:7</p> <p>connect [1] - 108:19</p> <p>connected [1] - 68:25</p> <p>consensus [2] - 42:12, 44:4</p> <p>consequential [1] - 26:4</p> <p>conservative [1] - 36:21</p> <p>consider [5] - 46:4, 54:3, 66:1, 95:22, 109:7</p> <p>consideration [1] - 85:12</p> <p>constant [1] - 22:15</p> <p>constitution [1] - 23:13</p> <p>construction [2] - 19:1, 32:10</p> <p>contact [1] - 14:21</p> <p>contacted [1] - 96:6</p> <p>containment [2] - 63:23</p>	<p>contaminated [3] - 59:3, 59:6, 62:20</p> <p>contaminating [2] - 74:1, 79:14</p> <p>contamination [10] - 16:3, 26:23, 53:16, 53:21, 55:17, 60:3, 80:8, 81:15, 82:25, 95:17</p> <p>contentious [1] - 66:10</p> <p>continue [12] - 34:20, 42:9, 42:12, 52:17, 63:2, 63:20, 63:21, 63:24, 64:13, 87:15, 105:24, 106:6</p> <p>continuing [5] - 34:15, 51:20, 79:21, 87:20, 88:17</p> <p>continuous [1] - 64:12</p> <p>continuously [1] - 64:12</p> <p>contract [2] - 55:5, 65:14</p> <p>contracting [2] - 55:3, 70:24</p> <p>contractors [6] - 13:24, 14:6, 17:18, 17:19, 72:14, 90:16</p> <p>conversation [5] - 13:23, 14:5, 16:21, 99:22, 105:25</p> <p>converted [1] - 108:8</p> <p>cooperate [1] - 99:25</p> <p>cooperates [1] - 88:13</p> <p>coordinate [1] - 75:16</p> <p>coordination [1] - 55:14</p> <p>copy [6] - 4:22, 24:14, 28:16, 106:13</p> <p>copying [1] - 26:12</p> <p>COQ [1] - 80:7</p> <p>corner [1] - 7:24</p> <p>corner [8] - 5:13, 48:23, 65:2, 68:23, 79:17, 103:5, 103:18, 106:3</p> <p>correctly [1] - 23:8</p> <p>counting [1] - 61:22</p> <p>county [1] - 97:20</p> <p>couple [10] - 9:10, 13:11, 16:20, 33:2, 35:2, 37:23, 49:20, 55:4, 66:22, 92:7</p> <p>course [4] - 15:20, 42:1, 57:9, 88:24</p> <p>court [1] - 3:19</p> <p>Court [2] - 11:2, 111:9</p> <p>COURT [2] - 11:3, 11:7</p>	<p>cover [3] - 25:25, 53:12, 72:22</p> <p>crafted [2] - 25:21, 25:22</p> <p>created [1] - 78:24</p> <p>creating [1] - 80:9</p> <p>crew [2] - 45:23, 90:10</p> <p>criteria [1] - 91:1</p> <p>critical [13] - 37:8, 52:12, 53:15, 58:10, 63:12, 67:11, 68:4, 68:13, 68:14, 70:2, 91:3</p> <p>CSR-5519 [2] - 1:21, 111:9</p> <p>Cummings [2] - 21:9, 73:13</p> <p>CUMMINGS [10] - 1:8, 21:11, 22:14, 62:4, 64:9, 64:16, 73:14, 73:19, 89:20, 90:11</p> <p>curious [1] - 94:22</p> <p>current [6] - 3:18, 20:1, 20:14, 25:25, 27:12, 41:16</p> <p>cut [1] - 52:25</p>
D				
<p>daily [1] - 11:21</p> <p>dam [1] - 94:19</p> <p>damage [1] - 19:8</p> <p>Dan [1] - 22:3</p> <p>Daniel [2] - 6:20, 74:8</p> <p>DANIEL [1] - 1:12</p> <p>data [54] - 31:7, 31:12, 31:15, 33:14, 33:21, 34:4, 47:7, 47:13, 47:17, 55:25, 57:9, 58:3, 58:5, 60:19, 63:18, 63:21, 73:21, 73:22, 74:6, 76:16, 79:6, 79:7, 79:11, 80:10, 80:16, 80:18, 80:19, 80:25, 81:4, 81:5, 81:6, 81:10, 81:14, 81:18, 81:24, 82:1, 82:12, 83:5, 83:21, 84:2, 84:3, 84:4, 84:7, 84:9, 84:16, 92:3, 101:1, 103:9, 103:11, 103:15, 104:11, 108:1, 110:18</p> <p>data-driven [1] - 79:7</p> <p>date [4] - 39:21, 39:22, 39:23, 49:9</p> <p>dated [1] - 111:10</p> <p>Dave [1] - 62:21</p> <p>DAVID [1] - 1:12</p>				

<p>David [2] - 6:23, 15:14 days [2] - 37:11, 46:3 deal [1] - 87:13 decade [1] - 52:2 December [3] - 34:20, 85:10, 111:10 decide [2] - 34:7, 85:15 decided [1] - 86:22 decision [2] - 33:3, 66:25 decisions [6] - 48:21, 49:16, 63:21, 64:1, 66:17, 79:8 deck [1] - 66:21 deemed [1] - 63:7 deer [1] - 20:19 define [2] - 81:15, 81:18 defined [1] - 84:4 defines [1] - 59:23 definitely [4] - 57:14, 77:12, 98:5, 100:16 definition [2] - 59:7, 108:10 degree [1] - 100:15 delay [1] - 10:17 delineate [1] - 95:5 delineating [1] - 80:14 demonstrate [1] - 33:13 DENISE [1] - 1:18 Denise [13] - 8:24, 10:1, 10:5, 10:8, 10:11, 10:14, 22:23, 28:1, 51:16, 78:2, 92:17, 92:20, 92:22 deny [1] - 97:16 Department [12] - 7:10, 7:11, 7:14, 8:24, 9:2, 10:1, 10:12, 10:18, 19:23, 22:24, 74:10, 74:16 departments [1] - 109:2 depth [1] - 56:4 design [3] - 32:18, 33:4, 64:1 designate [1] - 31:22 designated [3] - 59:13, 59:15, 69:5 designation [1] - 80:12 designed [1] - 107:11 detail [3] - 14:3, 33:11, 106:18 detection [3] - 20:16, 47:5 detections [3] - 20:17, 47:9</p>	<p>determine [2] - 65:25, 109:6 determined [2] - 44:3, 59:8 developing [2] - 58:7, 65:18 development [1] - 89:13 devote [1] - 11:24 dialed [1] - 102:7 dialing [1] - 68:23 dialogue [2] - 4:25, 68:3 difference [1] - 59:2 different [11] - 5:5, 31:21, 32:24, 56:3, 56:5, 59:9, 64:4, 72:8, 77:12, 97:17, 102:24 difficult [2] - 38:10, 48:5 difficulty [1] - 21:2 dig [2] - 12:22, 58:3 digging [2] - 53:21, 64:6 digits [1] - 4:12 diligence [1] - 24:8 directed [1] - 73:15 directly [2] - 58:11, 107:22 director [1] - 18:13 disconnected [1] - 78:25 discuss [6] - 5:7, 29:21, 42:24, 43:3, 65:23, 105:17 discussed [6] - 13:13, 14:19, 18:8, 44:2, 78:20, 82:6 discussing [1] - 13:7 discussion [12] - 5:12, 29:15, 67:14, 68:1, 68:4, 83:15, 93:10, 103:20, 105:13, 105:16, 106:6, 109:14 discussions [7] - 5:10, 13:11, 78:8, 108:23, 109:14, 109:17, 110:13 display [1] - 4:11 displayed [1] - 31:14 disposing [1] - 36:19 distinction [1] - 36:16 distributed [1] - 66:11 District [6] - 7:10, 8:24, 10:1, 10:5, 10:11, 22:24 division [2] - 15:5, 18:13</p>	<p>doable [1] - 92:9 document [7] - 5:7, 25:25, 31:5, 43:25, 66:16, 85:17, 85:19 documented [1] - 43:15 documents [5] - 14:3, 14:18, 25:25, 33:9, 38:17 DoD [1] - 90:1 dollars [1] - 70:1 domestic [1] - 74:12 done [40] - 12:2, 13:12, 32:12, 34:23, 35:17, 37:21, 37:23, 37:24, 38:19, 40:18, 41:11, 41:13, 43:19, 46:3, 46:20, 49:11, 49:12, 52:4, 52:6, 52:25, 53:7, 53:9, 53:13, 54:21, 55:9, 57:4, 57:6, 57:16, 64:18, 67:13, 67:16, 75:23, 79:20, 83:8, 85:17, 87:10, 88:2, 102:20, 103:3, 104:15 DOT [1] - 104:19 double [1] - 14:17 doubtful [1] - 99:15 down [17] - 13:2, 14:9, 36:9, 36:15, 41:12, 57:11, 57:20, 59:23, 62:13, 63:8, 73:19, 84:11, 84:18, 91:4, 94:18, 95:9, 95:10 down-gradient [1] - 57:20 downtime [1] - 97:12 downtown [1] - 100:2 Dr [10] - 7:4, 11:15, 18:14, 21:22, 24:12, 73:15, 82:22, 103:7, 103:23, 110:14 DR [125] - 3:9, 7:6, 9:22, 11:16, 22:1, 22:21, 24:6, 25:2, 28:15, 29:5, 29:18, 37:2, 40:10, 40:16, 40:20, 41:19, 42:1, 42:4, 42:8, 42:15, 42:19, 43:20, 43:24, 44:2, 44:14, 44:19, 44:24, 45:3, 45:7, 45:11, 45:15, 45:18, 46:6, 46:10, 47:1, 52:7, 53:4, 54:1, 54:10, 54:22, 58:9, 60:5, 61:7, 61:11, 61:16, 63:11, 64:10,</p>	<p>64:23, 65:13, 65:18, 66:12, 68:8, 68:13, 69:22, 70:6, 70:12, 70:17, 70:23, 71:9, 71:13, 71:16, 71:19, 71:23, 72:12, 72:16, 73:6, 73:18, 73:20, 77:3, 79:4, 79:16, 79:19, 80:2, 80:14, 81:7, 81:9, 81:14, 81:17, 82:1, 82:20, 82:23, 83:11, 84:9, 84:16, 84:20, 84:23, 85:2, 85:7, 85:22, 85:25, 86:13, 86:19, 86:22, 88:6, 88:10, 88:17, 89:9, 89:24, 90:13, 91:5, 91:16, 95:2, 96:11, 101:6, 101:12, 101:16, 101:23, 103:4, 103:7, 103:17, 103:22, 104:9, 104:21, 104:25, 105:22, 106:14, 106:20, 106:24, 107:1, 107:8, 107:19, 107:22, 109:25, 110:3, 110:15 draft [6] - 16:20, 48:11, 48:12, 85:8, 85:16, 85:18 drain [1] - 21:21 Driscoll [1] - 3:6 drive [1] - 63:21 driven [1] - 79:7 driver [2] - 53:18, 53:22 driveway [1] - 97:25 drove [1] - 67:20 due [2] - 19:3, 24:8 dug [3] - 46:5, 46:9, 46:25 dump [1] - 55:15 during [3] - 6:4, 31:13, 66:23 Dwight [1] - 1:4</p>	<p>easier [1] - 49:14 east [2] - 78:18, 96:9 echo [1] - 3:11 eco [1] - 12:6 Ecology [3] - 36:14, 55:8, 56:9 efficiently [1] - 5:2 effort [9] - 3:16, 14:8, 14:25, 16:5, 52:9, 52:14, 55:9, 64:5, 91:23 EGLE [25] - 17:3, 17:4, 18:7, 31:5, 31:7, 33:6, 34:10, 41:24, 42:20, 43:1, 44:4, 47:7, 47:16, 49:13, 50:21, 65:10, 66:21, 75:13, 76:17, 77:16, 85:14, 103:10, 103:17, 109:3 EGLE's [4] - 42:9, 43:12, 44:15, 48:11 eight [3] - 23:22, 27:15, 28:10 either [7] - 17:18, 37:19, 64:2, 67:7, 72:14, 92:24, 93:4 electrical [1] - 35:9 electronically [3] - 4:5, 8:19, 51:19 encouraged [1] - 64:20 end [8] - 5:23, 17:6, 17:9, 38:19, 48:2, 85:10, 94:18, 97:14 endangered [2] - 43:4, 43:16 Energy [1] - 7:15 engage [1] - 93:10 engaged [1] - 21:14 enhanced [1] - 10:7 entering [1] - 11:12 entire [2] - 45:23, 86:24 entry [2] - 95:4, 96:18 Environment [1] - 7:14 EPA [5] - 15:4, 59:11, 59:23, 72:17, 83:3 equal [1] - 37:12 equipment [3] - 11:22, 39:4, 41:4 Eric [4] - 7:8, 8:17, 9:5, 9:8 especially [1] - 29:25 essence [1] - 25:18 established [1] - 28:25 ESTCP [3] - 64:3, 79:22, 104:10</p>
E				
<p>e-mail [12] - 17:21, 21:4, 21:5, 24:22, 44:11, 48:10, 50:4, 50:5, 50:11, 50:12, 50:17, 109:21 e-mailed [1] - 24:13 e-mails [1] - 25:4 early [4] - 5:8, 17:7, 37:19, 66:11</p>				

<p>estimate [2] - 56:25, 96:25</p> <p>Etten [8] - 32:23, 33:7, 38:15, 40:4, 62:19, 74:2, 94:14, 94:24</p> <p>evening [7] - 3:4, 5:16, 10:4, 10:10, 13:7, 23:1, 111:1</p> <p>event [2] - 65:8, 98:24</p> <p>events [2] - 99:17, 100:1</p> <p>exact [2] - 97:3, 107:2</p> <p>exactly [4] - 83:22, 84:2, 107:14, 107:15</p> <p>excavating [1] - 37:17</p> <p>excavation [7] - 37:16, 37:25, 38:1, 57:21, 60:23, 61:6, 64:2</p> <p>exceeded [2] - 20:18, 62:17</p> <p>exception [1] - 105:11</p> <p>exchange [1] - 4:25</p> <p>excited [2] - 32:13, 51:25</p> <p>exciting [1] - 35:21</p> <p>excuse [1] - 44:10</p> <p>existed [1] - 103:14</p> <p>existing [2] - 33:16, 33:19</p> <p>expand [2] - 55:19, 73:25</p> <p>expansion [1] - 32:6</p> <p>expect [3] - 22:5, 64:11, 74:11</p> <p>expectations [1] - 14:14</p> <p>expecting [1] - 42:19</p> <p>expeditiously [1] - 32:11</p> <p>experience [1] - 52:7</p> <p>explain [2] - 54:11, 59:20</p> <p>explaining [1] - 59:22</p> <p>exposed [1] - 36:7</p> <p>extended [1] - 78:14</p> <p>extensively [1] - 78:13</p> <p>extraction [3] - 35:11, 57:8, 57:11</p> <p>extremely [3] - 55:2, 87:15, 95:16</p>	<p>fair [1] - 110:9</p> <p>faithfully [1] - 49:1</p> <p>fall [2] - 26:24, 38:20</p> <p>FAQ [1] - 72:9</p> <p>far [16] - 11:22, 20:13, 30:20, 31:13, 33:15, 34:11, 34:13, 36:25, 46:15, 51:18, 51:22, 55:4, 57:10, 65:18, 95:24, 97:4</p> <p>fashion [3] - 26:25, 66:3, 109:9</p> <p>fashioned [1] - 3:25</p> <p>fast [4] - 53:23, 55:8, 109:25, 110:2</p> <p>faster [1] - 92:6</p> <p>feasibility [3] - 58:17, 74:5, 74:6</p> <p>fed [1] - 33:21</p> <p>feedback [1] - 110:19</p> <p>feeding [1] - 34:6</p> <p>feet [2] - 55:24, 56:1</p> <p>fell [1] - 52:12</p> <p>fence [3] - 19:4, 19:5, 19:8</p> <p>few [13] - 13:7, 13:13, 13:14, 26:2, 33:18, 35:13, 49:7, 62:18, 64:17, 78:11, 92:15, 96:17, 102:10</p> <p>field [11] - 31:7, 40:20, 86:14, 86:23, 86:24, 88:3, 88:12, 90:13, 90:15, 90:17</p> <p>fields [1] - 54:23</p> <p>fieldwork [11] - 30:22, 31:13, 31:20, 33:12, 33:15, 34:14, 34:21, 35:20, 38:8, 38:21, 97:13</p> <p>fifth [1] - 67:25</p> <p>figure [6] - 22:8, 22:11, 62:15, 63:10, 65:15, 77:14</p> <p>figured [1] - 43:14</p> <p>figures [4] - 35:2, 76:18, 76:23, 77:2</p> <p>files [1] - 107:20</p> <p>fill [3] - 61:24, 84:2, 88:15</p> <p>filled [1] - 82:2</p> <p>filling [1] - 84:3</p> <p>final [1] - 24:24</p> <p>finalized [4] - 34:7, 44:6, 50:24, 87:22</p> <p>finalizing [1] - 31:5</p> <p>finally [2] - 15:4, 91:10</p> <p>fine [5] - 7:25, 40:19, 59:22, 107:6, 108:15</p> <p>finish [5] - 34:3, 53:2,</p>	<p>72:24, 87:8, 91:25</p> <p>finished [9] - 31:19, 33:18, 34:2, 34:21, 37:1, 37:17, 39:18, 39:23, 42:15</p> <p>finishes [1] - 103:23</p> <p>finishing [1] - 69:23</p> <p>fire [2] - 36:3, 36:4</p> <p>first [11] - 3:8, 23:22, 24:24, 27:5, 39:2, 42:1, 45:22, 73:13, 76:20, 85:10, 100:12</p> <p>fish [1] - 20:19</p> <p>fit [1] - 19:10</p> <p>five [14] - 5:5, 9:21, 18:20, 27:14, 39:1, 45:5, 55:24, 55:25, 62:5, 62:10, 63:10, 67:25, 90:25, 91:12</p> <p>five-year [1] - 67:25</p> <p>fix [1] - 22:7</p> <p>fixed [1] - 26:1</p> <p>floating [1] - 98:18</p> <p>floor [1] - 93:12</p> <p>flowing [1] - 57:2</p> <p>fluffed [1] - 98:18</p> <p>fluid [2] - 88:1, 98:3</p> <p>foam [8] - 98:14, 98:17, 98:20, 99:2, 99:9, 99:13, 100:15, 104:8</p> <p>focus [1] - 34:25</p> <p>focusing [1] - 58:6</p> <p>folks [9] - 10:24, 17:20, 21:12, 32:1, 63:3, 64:18, 74:25, 78:1, 108:20</p> <p>follow [2] - 48:9, 75:6</p> <p>following [6] - 18:14, 29:10, 29:13, 33:3, 83:1, 110:11</p> <p>followup [1] - 109:13</p> <p>fond [1] - 62:14</p> <p>Force [48] - 1:3, 11:15, 12:6, 13:23, 14:23, 16:17, 17:5, 17:6, 17:7, 18:3, 18:7, 18:11, 21:14, 21:22, 25:23, 26:15, 26:23, 30:2, 33:5, 38:5, 39:19, 40:3, 41:25, 42:2, 43:11, 44:13, 47:14, 50:21, 50:22, 50:23, 53:10, 54:15, 65:10, 78:13, 85:11, 87:23, 89:22, 90:3, 91:13, 94:11, 94:19, 94:23, 95:21, 102:18, 103:12, 106:11, 109:4</p>	<p>foresee [1] - 39:9</p> <p>Forest [10] - 8:4, 8:23, 16:10, 16:16, 16:24, 28:4, 79:20, 86:2, 89:6, 90:2</p> <p>forest [1] - 78:15</p> <p>Forestry [1] - 89:23</p> <p>forever [1] - 22:6</p> <p>forget [1] - 78:15</p> <p>forgotten [1] - 63:5</p> <p>form [1] - 110:25</p> <p>format [2] - 3:14, 29:25</p> <p>former [1] - 1:3</p> <p>forth [4] - 13:10, 24:2, 65:2, 68:3</p> <p>fortunate [1] - 108:16</p> <p>forward [37] - 5:7, 10:25, 12:3, 16:23, 22:9, 22:12, 24:4, 24:16, 25:5, 31:24, 32:11, 32:12, 33:10, 42:6, 43:21, 44:6, 52:8, 52:18, 52:19, 54:1, 67:1, 70:24, 71:5, 75:17, 79:21, 85:15, 87:2, 87:3, 87:5, 87:20, 88:17, 90:4, 90:7, 91:9, 95:6, 95:7, 110:13</p> <p>four [8] - 4:12, 5:4, 9:21, 27:14, 91:5, 94:13, 96:17, 96:18</p> <p>fourth [1] - 67:24</p> <p>foyer [1] - 15:21</p> <p>frankly [1] - 64:17</p> <p>free [1] - 30:10</p> <p>Friday [2] - 42:24, 43:3</p> <p>friend [1] - 81:19</p> <p>front [2] - 29:3, 60:6</p> <p>FS [3] - 54:2, 63:24, 91:25</p> <p>FT002 [23] - 32:1, 34:25, 35:18, 35:22, 36:13, 37:13, 38:13, 39:3, 43:11, 45:20, 53:10, 53:13, 57:9, 58:1, 60:17, 67:13, 67:15, 67:24, 68:7, 78:18, 79:3, 79:15, 92:3</p> <p>fuels [1] - 61:12</p> <p>full [3] - 63:17, 73:23, 92:1</p> <p>fumbling [1] - 59:17</p> <p>function [1] - 68:24</p> <p>funny [1] - 62:13</p> <p>future [6] - 14:12, 17:15, 18:15, 29:14,</p>	<p>70:15, 95:15</p>
G				
	<p>GAC [3] - 67:15, 67:23, 68:6</p> <p>gain [1] - 42:12</p> <p>Gaines [2] - 6:10, 13:16</p> <p>GAINES [5] - 1:11, 6:11, 13:18, 91:8, 92:12</p> <p>Galen [1] - 3:6</p> <p>gap [11] - 21:17, 81:24, 82:1, 82:5, 82:8, 82:12, 83:5, 83:21, 84:3, 84:4, 84:7</p> <p>gaps [1] - 88:15</p> <p>gathers [1] - 100:17</p> <p>general [3] - 14:15, 75:18, 93:11</p> <p>General's [2] - 51:6, 109:1</p> <p>generic [1] - 44:23</p> <p>geoprobes [1] - 80:21</p> <p>get-go [1] - 12:8</p> <p>given [2] - 69:14, 98:6</p> <p>glad [1] - 46:12</p> <p>goal [3] - 86:14, 88:11, 90:14</p> <p>GOVERNMENT [1] - 1:15</p> <p>government [2] - 7:4, 16:9</p> <p>Governor [2] - 15:18, 15:22</p> <p>gradient [2] - 57:11, 57:20</p> <p>grading [1] - 35:6</p> <p>grass [1] - 46:24</p> <p>grateful [1] - 89:14</p> <p>great [28] - 5:14, 8:25, 9:3, 9:7, 9:18, 11:4, 14:4, 15:7, 16:15, 26:5, 27:24, 28:9, 30:19, 38:3, 38:4, 46:19, 49:20, 55:3, 60:12, 62:22, 67:7, 80:4, 87:18, 87:19, 90:10, 94:1, 95:3, 106:10</p> <p>Great [5] - 3:3, 7:15, 9:14, 15:25, 16:2</p> <p>greater [2] - 37:12, 81:12</p> <p>Greg [3] - 9:14, 9:15, 29:1</p> <p>GREG [1] - 1:8</p> <p>gremlins [1] - 75:4</p>			
F				
<p>facilitator [1] - 3:7</p> <p>fact [11] - 17:8, 40:14, 46:22, 71:11, 71:13, 71:20, 72:3, 72:9, 73:9, 87:14, 109:10</p> <p>facts [2] - 17:5, 72:9</p> <p>faded [1] - 38:11</p>				

<p>ground [4] - 4:24, 5:11, 80:22, 95:9</p> <p>groundwater [11] - 33:16, 34:5, 36:9, 36:23, 53:17, 59:4, 87:1, 87:2, 88:21, 90:25, 102:22</p> <p>group [5] - 15:17, 23:14, 46:14, 49:18, 103:24</p> <p>groups [1] - 106:7</p> <p>GSI [2] - 12:12, 81:11</p> <p>guess [6] - 47:10, 49:22, 60:4, 96:5, 100:21, 100:25</p> <p>guidance [2] - 83:3, 85:14</p> <p>guys [21] - 12:20, 14:24, 16:12, 29:6, 30:12, 30:24, 39:20, 40:8, 46:3, 46:22, 47:8, 49:24, 50:4, 52:14, 62:15, 66:24, 80:20, 81:1, 81:2, 85:1, 87:12</p>	<p>health [4] - 10:11, 15:5, 22:25, 99:8</p> <p>Health [11] - 7:10, 7:11, 8:24, 9:2, 10:1, 10:11, 10:18, 19:23, 22:24, 74:10, 74:16</p> <p>hear [18] - 9:23, 10:24, 16:13, 30:12, 62:22, 63:3, 67:6, 68:11, 74:18, 74:24, 75:7, 76:9, 76:10, 87:9, 88:8, 90:16, 93:21</p> <p>heard [4] - 49:2, 62:18, 62:19, 105:14</p> <p>hearing [3] - 10:3, 67:6, 99:8</p> <p>heck [1] - 46:3</p> <p>held [2] - 1:4, 17:10</p> <p>hello [1] - 98:12</p> <p>help [9] - 11:24, 11:25, 14:1, 14:16, 22:7, 46:16, 50:7, 66:14, 84:2</p> <p>helped [2] - 89:12, 95:20</p> <p>helpful [2] - 72:20, 75:10</p> <p>helping [4] - 12:7, 104:2, 110:17</p> <p>Henry [2] - 6:13, 23:10</p> <p>HENRY [21] - 1:10, 3:11, 5:13, 6:14, 9:14, 13:5, 24:1, 24:21, 25:14, 28:17, 29:4, 29:17, 56:11, 57:19, 66:6, 67:4, 86:9, 88:24, 105:15, 109:20, 110:7</p> <p>herself [1] - 90:21</p> <p>hi [2] - 16:12, 76:8</p> <p>high [4] - 37:5, 45:25, 106:11, 108:10</p> <p>high-definition [1] - 108:10</p> <p>higher [3] - 36:22, 55:23, 56:2</p> <p>highlight [2] - 83:5, 85:5</p> <p>Hill [2] - 93:15, 93:22</p> <p>hired [1] - 19:7</p> <p>historical [1] - 72:21</p> <p>historically [3] - 70:15, 71:8, 71:9</p> <p>hit [1] - 102:7</p> <p>hold [1] - 20:4</p> <p>holding [1] - 48:12</p> <p>hole [4] - 37:22, 46:5, 46:9, 95:8</p> <p>holes [2] - 46:25, 80:22</p>	<p>honest [1] - 63:14</p> <p>honestly [1] - 5:8</p> <p>hope [8] - 14:12, 14:21, 20:25, 26:18, 33:6, 37:22, 47:6, 47:12</p> <p>hopefully [8] - 30:14, 52:16, 69:24, 76:4, 87:23, 92:2, 101:8, 104:13</p> <p>hoping [4] - 16:3, 43:5, 66:14, 67:13</p> <p>HR [1] - 18:23</p> <p>Human [5] - 7:11, 9:2, 10:19, 19:23, 74:17</p> <p>hundred [1] - 88:20</p> <p>hundred-something [1] - 88:20</p> <p>Hunter [2] - 103:7, 103:23</p> <p>hunting [1] - 37:20</p> <p>Huron [1] - 98:15</p> <p>hybrid [2] - 3:14, 29:25</p>	<p>3:17</p> <p>inaudible [20] - 15:6, 17:6, 17:12, 20:18, 21:15, 21:16, 22:18, 30:5, 39:7, 48:18, 56:11, 62:15, 70:20, 70:21, 71:16, 81:22, 89:22, 89:23, 108:5</p> <p>inaudible [9] - 8:10, 16:6, 19:13, 19:14, 56:13, 71:10, 71:22, 76:4, 93:24</p> <p>inch [2] - 19:11</p> <p>include [4] - 13:8, 21:7, 65:10, 109:11</p> <p>included [1] - 43:23</p> <p>including [5] - 45:5, 58:4, 61:8, 61:11, 79:10</p> <p>incorporated [5] - 24:10, 25:9, 25:10, 43:14, 43:15</p> <p>increase [1] - 36:8</p> <p>increased [1] - 53:16</p> <p>indecipherable [2] - 7:18, 18:14</p> <p>independently [1] - 99:19</p> <p>indicate [2] - 6:8, 81:11</p> <p>information [22] - 5:8, 13:24, 14:9, 17:20, 26:21, 31:15, 47:15, 47:22, 48:14, 48:25, 49:2, 49:5, 49:25, 50:1, 50:3, 60:13, 79:10, 81:23, 98:5, 108:13, 109:9, 109:11</p> <p>informed [1] - 18:22</p> <p>initial [4] - 39:20, 55:21, 82:23, 84:25</p> <p>initiating [1] - 45:23</p> <p>initiative [1] - 46:22</p> <p>input [1] - 14:20</p> <p>insight [1] - 52:5</p> <p>install [1] - 97:10</p> <p>installed [4] - 32:7, 35:8, 35:13, 43:11</p> <p>installing [1] - 97:23</p> <p>instances [1] - 97:22</p> <p>insufficient [3] - 81:15, 81:16, 81:17</p> <p>intake [1] - 99:11</p> <p>intent [1] - 8:12</p> <p>interested [1] - 69:18</p> <p>interim [5] - 5:21, 18:10, 33:3, 91:20, 91:23</p> <p>interim" [1] - 91:21</p>	<p>internal [1] - 13:13</p> <p>interpretations [1] - 83:16</p> <p>interrupting [1] - 5:4</p> <p>introduce [2] - 11:17, 12:9</p> <p>investigation [6] - 5:21, 12:13, 74:4, 78:21, 79:5, 83:24</p> <p>involved [1] - 90:3</p> <p>IR [1] - 106:12</p> <p>IRA [8] - 12:21, 32:1, 33:1, 33:4, 38:13, 38:16, 39:19, 43:5</p> <p>IRAs [5] - 30:22, 38:20, 52:19, 54:6, 63:15</p> <p>IROD [4] - 43:24, 45:4, 45:12, 45:16</p> <p>issue [9] - 18:15, 43:6, 48:10, 48:12, 51:2, 66:7, 89:4, 104:7, 104:8</p> <p>issues [8] - 19:6, 39:10, 41:24, 41:25, 42:17, 42:24, 43:7, 75:20</p> <p>it'll [1] - 49:13</p> <p>item [5] - 50:25, 65:1, 65:10, 83:5, 109:23</p> <p>items [10] - 5:19, 5:20, 23:9, 29:8, 29:11, 29:14, 29:15, 29:16, 108:24</p> <p>iteration [1] - 83:23</p> <p>itself [3] - 57:13, 68:15, 79:1</p>
H		I		J
<p>half [4] - 44:12, 55:13, 67:6, 108:12</p> <p>halfway [1] - 82:19</p> <p>hall [8] - 17:10, 18:9, 77:4, 77:6, 77:14, 77:16, 77:17</p> <p>hand [6] - 4:1, 4:5, 4:7, 8:19, 11:18, 102:6</p> <p>handles [1] - 71:1</p> <p>hands [6] - 23:24, 24:16, 27:7, 51:18, 102:11, 106:2</p> <p>hangar [1] - 19:1</p> <p>hanging [1] - 77:22</p> <p>happy [6] - 31:14, 38:5, 62:22, 78:13, 98:4, 101:19</p> <p>hard [5] - 4:22, 24:14, 40:12, 75:7, 87:14</p> <p>harm [1] - 70:11</p> <p>harping [1] - 24:3</p> <p>haul [2] - 12:22, 58:3</p> <p>hauling [1] - 64:6</p> <p>Hazardous [1] - 36:14</p> <p>hazardous [12] - 36:17, 36:18, 36:20, 55:15, 58:23, 59:6, 59:8, 59:11, 59:12, 59:13, 59:15, 60:3</p> <p>head [3] - 60:9, 82:12, 97:3</p>		<p>idea [2] - 25:1, 77:10</p> <p>ideas [2] - 5:1, 90:8</p> <p>identification [1] - 80:9</p> <p>identified [4] - 54:13, 81:25, 83:21, 104:18</p> <p>identify [1] - 79:12</p> <p>identifying [2] - 82:5, 104:4</p> <p>illustrate [1] - 33:14</p> <p>images [1] - 15:20</p> <p>imagine [1] - 43:17</p> <p>immediately [2] - 57:20, 58:7</p> <p>impact [7] - 57:1, 57:5, 57:11, 57:15, 58:6, 58:7, 58:16</p> <p>impacted [1] - 58:23</p> <p>impacts [1] - 57:22</p> <p>implement [2] - 32:20, 54:4</p> <p>implemented [1] - 26:22</p> <p>implementing [1] - 36:10</p> <p>important [3] - 36:16, 49:17, 95:16</p> <p>impressed [1] - 24:6</p> <p>impressive [3] - 38:1, 61:21, 110:3</p> <p>improvements [1] - 14:24</p> <p>in-person [2] - 1:4,</p>		<p>Janet [2] - 12:11, 12:14</p> <p>Janine [3] - 12:4, 12:5, 12:14</p> <p>Jennifer [2] - 93:15, 93:22</p> <p>JESSIE [1] - 1:18</p> <p>Jessie [16] - 8:3, 8:22, 16:10, 16:11, 17:1, 28:4, 28:5, 28:7, 51:16, 78:2, 89:9, 89:16, 90:20, 92:18, 92:23, 93:2</p> <p>jessie [1] - 8:21</p> <p>job [4] - 46:3, 59:22, 68:17, 87:18</p> <p>JOE [1] - 1:11</p> <p>Joe [2] - 6:17, 15:2</p> <p>join [1] - 12:20</p> <p>joined [6] - 4:4, 19:21,</p>

68:21, 70:25, 102:4, 102:5 joining [4] - 3:12, 4:3, 4:6, 30:18 Jordan [1] - 70:25 JPEG [5] - 106:19, 108:8, 108:10, 108:14 July [3] - 33:18, 47:19, 47:25 jump [3] - 11:6, 30:10, 82:21 June [1] - 17:7	15:25, 16:2 land [2] - 79:20, 96:20 Landfill [1] - 36:15 landfill [8] - 36:18, 36:20, 36:22, 56:3, 56:5, 56:6, 56:13, 59:12 large [2] - 98:25, 107:12 larger [1] - 104:14 largest [1] - 98:20 last [31] - 4:12, 13:22, 14:10, 15:9, 19:4, 24:2, 29:10, 31:18, 35:23, 37:17, 47:2, 47:18, 62:5, 67:15, 67:23, 72:6, 73:4, 73:8, 78:11, 79:2, 80:8, 81:8, 82:17, 83:23, 91:12, 103:1, 106:10, 106:15, 106:16 latest [4] - 47:2, 47:3, 74:11, 85:11 launched [1] - 15:25 lawyers [1] - 44:3 layer [1] - 95:11 layout [1] - 19:2 lays [1] - 63:8 lead [2] - 42:2, 68:16 leadership [1] - 22:8 leads [1] - 55:6 learn [1] - 104:3 learned [4] - 26:10, 60:13, 91:11, 110:8 least [10] - 19:4, 25:3, 26:23, 64:20, 72:22, 79:12, 95:22, 99:25, 104:17, 107:11 leave [2] - 48:18, 78:16 leech [1] - 36:23 leeching [4] - 36:8, 37:6, 37:7, 58:13 left [3] - 26:3, 32:20, 86:5 legal [1] - 59:14 LERICHE [80] - 1:13, 6:16, 9:9, 9:19, 13:21, 26:10, 44:10, 44:17, 44:22, 44:25, 45:5, 45:9, 45:13, 60:12, 61:4, 61:10, 61:14, 61:24, 64:25, 65:5, 65:8, 65:17, 65:22, 67:5, 67:10, 67:22, 68:10, 68:19, 71:11, 71:15, 71:25, 72:13, 72:18, 78:10, 79:9, 79:18, 80:1,	80:4, 81:3, 81:8, 81:10, 81:16, 81:24, 82:4, 82:8, 82:10, 82:15, 83:4, 83:13, 84:5, 84:19, 84:21, 85:4, 85:18, 85:24, 86:4, 86:12, 88:4, 88:8, 88:14, 90:24, 91:7, 91:11, 102:16, 103:6, 103:15, 103:19, 104:1, 104:17, 104:23, 105:1, 106:9, 106:17, 106:22, 106:25, 107:6, 107:14, 108:2, 108:6, 108:15 Leriche [3] - 6:15, 60:11, 64:24 less [7] - 44:17, 44:20, 49:14, 56:3, 64:11, 75:25, 88:14 letter [13] - 22:9, 42:20, 43:2, 44:5, 44:10, 44:12, 44:15, 51:7, 94:19, 109:1, 109:22 letters [2] - 96:15, 97:6 level [3] - 44:4, 90:1, 98:18 levels [2] - 45:25, 55:16 library [2] - 13:25, 14:18 licensing [1] - 18:24 lies [1] - 62:16 life [2] - 8:1, 27:7 likely [3] - 18:15, 65:14, 75:13 line [2] - 11:1, 78:1 lines [1] - 110:20 Lingo [2] - 9:17, 29:1 lining [1] - 41:6 links [2] - 25:8, 25:10 list [6] - 6:8, 13:2, 17:22, 38:24, 44:25, 45:2 listed [3] - 8:16, 74:22, 102:9 listen [1] - 5:4 listening [1] - 47:12 listing [1] - 82:5 literally [1] - 58:11 live [2] - 94:13, 98:13 lives [1] - 94:18 LLC [1] - 111:9 local [2] - 22:25, 90:10 localized [1] - 91:22 location [1] - 55:18	locations [12] - 34:2, 34:7, 34:8, 34:12, 35:15, 47:8, 74:13, 75:16, 77:9, 77:12, 84:25, 97:9 lock [1] - 71:3 lockstep [1] - 52:10 logistics [1] - 67:3 longest [1] - 21:13 look [13] - 4:21, 5:16, 16:23, 30:14, 30:15, 45:24, 57:16, 58:16, 69:4, 69:21, 87:7, 96:1, 110:13 looked [2] - 45:21, 58:5 looking [21] - 18:23, 19:2, 23:11, 24:3, 35:21, 39:25, 57:8, 57:15, 58:8, 58:18, 61:1, 70:1, 76:21, 80:3, 80:16, 103:8, 103:9, 103:11, 103:15, 104:24 looks [2] - 40:7, 101:4 loop [1] - 14:13 Lord [1] - 109:25 lost [1] - 86:24 loud [2] - 20:25, 90:16 lower [3] - 4:8, 56:4 lumbering [1] - 19:7	86:14, 88:7, 88:9, 88:11 March/April [1] - 88:11 mark [1] - 25:12 Mark [10] - 6:13, 9:12, 13:3, 14:22, 28:15, 56:7, 56:8, 57:18, 88:22, 110:5 MARK [1] - 1:10 Mark's [1] - 24:8 marsh [2] - 78:16, 79:13 Marsh [18] - 32:1, 32:25, 35:1, 35:18, 37:8, 38:13, 40:1, 41:20, 43:5, 57:2, 74:2, 78:15, 82:18, 83:9, 83:25, 84:6, 84:14 marshes [1] - 83:9 masks [1] - 60:18 mass [4] - 60:20, 60:22, 60:23, 61:2 material [3] - 55:23, 59:11, 61:2 materials [1] - 41:14 matters [2] - 54:15, 93:11 MAXWELL [4] - 1:11, 6:18, 15:3, 58:21 Maxwell [4] - 6:17, 15:2, 58:19, 73:13 mcLs [1] - 47:6 MDHHS [1] - 47:7 mean [22] - 24:23, 40:7, 46:15, 46:19, 46:23, 48:25, 49:1, 52:25, 55:9, 59:21, 61:13, 64:13, 64:14, 70:15, 74:1, 80:3, 80:15, 80:24, 84:10, 88:18, 104:13, 107:4 meaning [3] - 59:7, 59:14 means [2] - 12:16, 103:6 meant [2] - 95:3, 107:18 measure [1] - 19:5 mechanical [1] - 35:8 media [1] - 86:23 meet [3] - 29:13, 73:1, 85:14 Meeting [1] - 69:10 meeting [43] - 3:7, 3:17, 3:18, 3:21, 5:23, 13:22, 14:17, 17:10, 18:9, 21:8, 22:19, 27:10, 29:10,
K				
keep [12] - 11:21, 11:25, 27:11, 28:22, 34:18, 46:11, 52:19, 97:19, 99:17, 100:20, 110:20, 110:22 Ken [1] - 38:15 kept [2] - 13:25, 50:17 key [2] - 58:9, 91:20 kicked [1] - 32:8 kind [26] - 13:2, 14:9, 15:22, 23:13, 27:4, 30:16, 30:21, 31:10, 33:13, 34:18, 35:3, 35:17, 36:2, 36:6, 36:24, 43:8, 43:19, 55:22, 62:13, 68:1, 75:17, 75:24, 77:8, 97:12, 102:25, 106:6 knowing [1] - 22:17 knows [3] - 19:10, 32:9, 101:8 kudos [1] - 46:25 Kulan [2] - 98:12, 99:23 KULAN [7] - 2:2, 98:12, 99:24, 101:10, 101:15, 101:18, 101:22				
L				
labeled [1] - 82:12 lag [1] - 102:10 laid [3] - 40:23, 41:10, 62:13 Lake [9] - 32:23, 33:7, 38:15, 40:4, 62:19, 74:2, 94:14, 94:24, 98:15 lake [6] - 47:11, 94:18, 96:8, 98:19, 100:25, 103:10 Lakes [3] - 7:15,				
		M		
		mail [12] - 17:21, 21:4, 21:5, 24:22, 44:11, 48:10, 50:4, 50:5, 50:11, 50:12, 50:17, 109:21 mailed [1] - 24:13 mails [1] - 25:4 main [2] - 42:24, 43:7 maintain [3] - 4:25, 5:6, 63:2 maintained [1] - 14:7 maintenance [1] - 11:21 major [1] - 25:13 majority [2] - 17:17, 23:19 man [2] - 19:9, 109:24 management [2] - 72:25, 73:2 manager [1] - 18:21 map [6] - 47:13, 75:19, 80:5, 82:16, 84:22, 98:17 maps [2] - 74:13, 75:13 March [5] - 18:13,		

29:13, 42:24, 43:2, 43:5, 47:19, 47:22, 48:1, 48:2, 48:24, 49:3, 50:18, 66:2, 67:15, 67:23, 74:23, 74:25, 76:19, 76:24, 90:20, 91:12, 93:8, 98:6, 102:2, 108:20, 109:4, 109:8, 110:12, 111:3
meetings [13] - 3:15, 5:10, 13:13, 23:15, 34:9, 38:9, 47:21, 62:6, 62:9, 65:7, 66:1, 109:7, 109:18
MEMBERS [1] - 2:1
members [48] - 3:23, 4:3, 4:6, 5:11, 5:17, 5:25, 6:1, 7:3, 7:4, 9:10, 11:14, 13:3, 13:9, 15:18, 15:24, 16:9, 23:11, 23:20, 23:21, 24:13, 25:18, 26:9, 27:5, 27:9, 28:11, 29:2, 38:23, 50:18, 51:6, 51:21, 56:24, 62:3, 66:5, 69:2, 69:12, 69:15, 78:8, 86:8, 89:18, 90:23, 92:14, 92:17, 93:9, 93:12, 109:2, 109:3, 109:11
members' [1] - 5:24
membership [2] - 25:18, 26:2
memo [1] - 53:15
memorandum [1] - 69:23
Memorial [1] - 38:15
mention [3] - 21:12, 72:1, 95:3
mentioned [6] - 19:13, 23:10, 26:14, 38:18, 67:13, 76:18
Mertz [4] - 8:15, 8:16, 9:8, 15:9
met [4] - 15:18, 22:3, 29:9, 90:8
method [1] - 36:24
MICHAEL [1] - 1:17
Michigan [12] - 1:5, 7:11, 7:14, 9:2, 10:18, 16:2, 17:3, 19:23, 36:15, 51:6, 108:25, 109:3
Michigan.gov/ Wurtsmith [1] - 17:13
microphone [2] - 93:19, 93:21

mics [1] - 109:16
might [7] - 14:15, 64:5, 74:11, 75:2, 75:13, 90:16, 92:6
migrating [1] - 100:8
Mike [1] - 18:18
mile [1] - 99:11
Mile [1] - 100:2
miles [1] - 98:16
military [1] - 16:4
million [2] - 60:16, 70:1
mind [5] - 13:4, 25:13, 29:17, 105:21, 110:10
minds [1] - 108:17
mine [2] - 72:16, 92:8
minute [3] - 44:17, 50:5, 94:5
minutes [17] - 6:2, 39:1, 47:19, 47:23, 48:11, 48:24, 49:15, 50:9, 50:18, 51:1, 66:3, 66:8, 69:7, 92:15, 102:10, 109:5, 109:8
Minutes [1] - 111:5
miserable [1] - 30:17
missed [2] - 87:25
MMRP [1] - 11:23
mobilization [1] - 44:7
mod [1] - 65:14
modeling [2] - 57:6, 57:16
modified [1] - 25:23
modify [1] - 65:9
moment [1] - 105:3
money [6] - 70:22, 71:1, 71:6, 72:4, 72:5, 73:1
monitoring [15] - 35:14, 43:9, 43:10, 57:12, 57:20, 57:21, 58:8, 82:13, 82:16, 83:24, 84:11, 85:3, 97:9, 99:7, 99:8
month [5] - 15:19, 44:12, 49:1, 82:17, 85:10
months [7] - 14:10, 16:20, 39:24, 40:23, 41:1, 62:18
morning [2] - 16:22, 90:8
most [4] - 31:10, 37:19, 65:14, 84:1
mother [1] - 62:12
motion [1] - 54:24
motivating [1] - 45:23
mouth [1] - 98:24

move [40] - 5:7, 5:15, 5:20, 8:7, 11:9, 12:2, 13:1, 16:8, 22:9, 23:4, 24:4, 24:15, 29:8, 29:20, 29:21, 29:25, 30:1, 30:25, 31:21, 31:23, 33:10, 42:6, 43:21, 44:6, 52:17, 52:18, 54:1, 60:10, 66:25, 69:6, 70:24, 86:23, 87:1, 87:5, 87:20, 90:3, 90:7, 93:7, 95:6, 108:23
moved [4] - 26:16, 38:16, 70:4, 87:3
movement [1] - 64:12
moving [11] - 10:25, 25:5, 32:10, 32:11, 58:16, 71:4, 75:17, 78:18, 92:5, 95:7, 105:7
MPART [1] - 18:9
MPEG [1] - 72:8
MR [300] - 3:2, 3:11, 3:13, 5:13, 5:14, 6:11, 6:12, 6:14, 6:15, 6:16, 6:17, 6:18, 6:19, 6:21, 6:22, 6:24, 6:25, 7:2, 7:7, 7:17, 7:19, 7:20, 7:22, 7:23, 7:25, 8:2, 8:11, 8:20, 8:21, 9:9, 9:12, 9:14, 9:15, 9:19, 9:24, 10:6, 10:13, 10:20, 10:22, 11:4, 11:8, 12:25, 13:5, 13:15, 13:18, 13:19, 13:21, 15:1, 15:3, 15:7, 15:12, 15:13, 15:15, 15:16, 16:7, 16:14, 17:1, 18:17, 18:20, 19:9, 19:12, 19:14, 19:15, 19:16, 19:18, 19:19, 19:25, 20:3, 20:6, 20:7, 20:9, 20:10, 20:13, 20:22, 20:24, 21:1, 21:11, 22:14, 22:22, 23:2, 24:1, 24:5, 24:12, 24:21, 25:12, 25:14, 26:5, 26:8, 26:10, 27:3, 27:20, 27:21, 27:23, 27:24, 28:3, 28:9, 28:17, 28:18, 29:4, 29:7, 29:17, 29:19, 30:8, 38:22, 38:24, 39:2, 39:9, 39:19, 40:2, 40:5, 40:7,

40:15, 40:19, 40:22, 40:25, 41:3, 41:8, 41:15, 41:20, 41:23, 42:3, 42:7, 42:14, 42:17, 43:18, 43:22, 44:1, 44:9, 44:10, 44:17, 44:22, 44:25, 45:5, 45:9, 45:13, 45:17, 45:19, 46:8, 46:14, 47:2, 47:18, 48:3, 48:7, 48:13, 48:19, 48:22, 49:17, 50:7, 50:16, 51:4, 51:11, 52:22, 53:3, 56:11, 56:15, 56:18, 57:19, 58:19, 58:21, 60:10, 60:12, 61:4, 61:10, 61:14, 61:24, 62:2, 62:4, 64:9, 64:16, 64:24, 64:25, 65:3, 65:5, 65:6, 65:8, 65:17, 65:22, 65:25, 66:6, 67:4, 67:5, 67:10, 67:22, 68:10, 68:19, 68:20, 69:11, 70:7, 71:11, 71:15, 71:25, 72:13, 72:18, 73:12, 73:14, 73:19, 74:8, 74:9, 74:15, 76:4, 76:6, 76:8, 76:10, 76:12, 76:22, 77:1, 77:5, 77:7, 77:11, 77:15, 77:20, 77:21, 77:24, 77:25, 78:6, 78:10, 79:9, 79:18, 80:1, 80:4, 81:3, 81:8, 81:10, 81:16, 81:24, 82:4, 82:8, 82:10, 82:15, 82:21, 83:4, 83:13, 83:18, 84:5, 84:19, 84:21, 85:4, 85:18, 85:24, 86:4, 86:6, 86:9, 86:12, 88:4, 88:8, 88:14, 88:22, 88:24, 89:3, 89:16, 89:20, 90:11, 90:19, 90:24, 91:7, 91:8, 91:11, 92:10, 92:12, 92:13, 92:22, 92:25, 93:3, 93:5, 93:25, 94:9, 98:9, 99:21, 101:5, 101:20, 101:24, 102:16, 103:6, 103:15, 103:19, 104:1, 104:17, 104:23, 105:1, 105:2, 105:15, 105:20, 106:1, 106:9, 106:17,

106:22, 106:25, 107:6, 107:14, 108:2, 108:6, 108:15, 108:16, 109:20, 109:24, 110:1, 110:4, 110:7, 110:14, 110:23
MS [110] - 7:1, 7:16, 8:9, 10:4, 10:10, 15:17, 16:12, 16:15, 17:4, 22:25, 24:18, 24:23, 26:7, 28:2, 28:8, 30:5, 30:11, 37:16, 39:1, 39:6, 39:11, 39:25, 40:4, 40:6, 40:24, 41:2, 41:5, 41:9, 41:18, 41:22, 42:23, 47:16, 47:25, 48:4, 48:9, 48:16, 48:20, 49:7, 49:22, 50:15, 50:20, 51:10, 51:23, 52:20, 52:24, 53:5, 54:8, 54:12, 54:17, 55:10, 55:20, 56:14, 56:17, 57:3, 57:23, 58:25, 59:21, 59:24, 59:25, 60:2, 60:8, 60:18, 61:5, 61:18, 62:1, 65:21, 67:9, 67:19, 69:16, 70:4, 70:10, 70:14, 70:20, 71:7, 71:10, 71:18, 71:22, 73:11, 75:5, 76:5, 77:17, 78:4, 82:3, 82:6, 82:9, 82:11, 83:20, 84:13, 84:24, 86:17, 86:21, 89:1, 89:4, 92:20, 92:23, 96:5, 97:2, 98:12, 99:24, 101:10, 101:15, 101:18, 101:22, 107:10, 107:15, 107:21, 107:24, 108:3, 108:11, 110:2
multiple [2] - 91:18, 107:9
Multiple [3] - 70:19, 71:21, 76:3
municipal [1] - 99:11
Munson [1] - 18:18
MUNSON [7] - 1:17, 7:22, 7:25, 18:20, 19:12, 19:15, 19:18
must [1] - 72:14
mute [13] - 4:9, 4:14, 10:21, 54:13, 68:22, 68:24, 76:12, 76:13, 90:21, 102:11

<p>muted [3] - 4:17, 21:13, 75:1</p>	<p>110:12 nice [1] - 47:11 night [3] - 5:17, 30:17, 111:1</p>	<p>Olympic [1] - 61:25 Olympic-size [1] - 61:25</p>	<p>25:20, 26:1, 39:13, 67:15, 67:23, 78:24, 79:1</p>	<p>passive [1] - 79:24 past [5] - 26:17, 49:11, 54:19, 69:17, 70:5</p>
N				
<p>name [5] - 3:4, 63:4, 78:16, 94:7, 94:9 nanogram [1] - 61:22 natural [1] - 98:21 nature [1] - 62:12 near [4] - 14:12, 17:15, 18:15, 94:16 nearly [1] - 100:14 necessarily [4] - 24:24, 50:1, 69:13, 83:20 necessary [1] - 63:7 need [29] - 11:5, 22:18, 23:18, 30:10, 42:10, 46:10, 46:11, 46:15, 46:25, 52:8, 52:9, 54:3, 63:16, 65:15, 70:23, 73:24, 75:2, 85:18, 87:7, 95:13, 95:18, 95:25, 96:1, 96:2, 97:22, 99:16, 104:11 needed [3] - 16:24, 28:10, 54:25 needs [1] - 43:19 negative [1] - 97:6 negotiation [1] - 21:23 negotiations [2] - 21:18, 89:22 neighborhood [1] - 34:12 Network [1] - 16:1 never [1] - 26:16 new [14] - 12:3, 18:25, 23:16, 28:6, 28:12, 28:24, 30:5, 39:4, 39:22, 40:25, 45:5, 72:10, 90:25, 91:12 news [1] - 30:19 next [50] - 4:19, 5:15, 8:7, 11:9, 11:11, 13:1, 23:5, 30:1, 30:25, 31:24, 32:22, 33:10, 33:21, 33:22, 34:4, 34:23, 34:24, 35:18, 35:20, 35:25, 36:11, 36:24, 37:19, 38:6, 38:20, 40:20, 46:5, 46:9, 69:24, 71:5, 72:22, 73:16, 76:19, 76:23, 77:3, 77:5, 77:14, 77:16, 86:14, 88:4, 88:6, 90:13, 90:17, 92:7, 98:5, 105:5, 105:6,</p>	<p>nine [8] - 4:8, 26:19, 27:15, 39:24, 40:23, 102:7, 102:12 non [2] - 20:16, 66:10 non-contentious [1] - 66:10 non-detection [1] - 20:16 north [2] - 100:3, 100:4 Notary [1] - 1:21 note [2] - 30:8, 50:17 nothing [7] - 15:12, 29:17, 68:5, 68:6, 68:8, 68:15, 80:5 notion [1] - 25:16 NOVEMBER [1] - 1:1 November [4] - 17:9, 17:10, 17:11, 18:8 Number [1] - 10:12 number [17] - 4:11, 4:13, 5:4, 5:5, 5:7, 33:22, 33:23, 33:24, 97:1, 97:3, 97:14, 98:3, 98:4, 98:7, 108:24, 109:6 numbered [1] - 80:7 numbers [8] - 25:16, 69:19, 70:21, 72:21, 73:7, 75:7, 75:8, 85:5</p>	<p>ones [4] - 48:12, 49:10, 75:9, 96:22 ongoing [7] - 18:24, 31:4, 31:6, 31:8, 31:23, 34:15, 109:15 online [18] - 3:19, 3:21, 8:14, 8:19, 9:11, 9:17, 9:21, 10:24, 17:20, 30:18, 68:21, 74:13, 77:18, 93:15, 102:4, 102:6, 105:25, 106:2 open [6] - 4:25, 5:5, 29:11, 65:19, 105:18, 110:21 opening [1] - 93:12 openly [1] - 5:8 operating [19] - 5:19, 8:6, 13:6, 23:8, 23:12, 23:16, 24:11, 25:14, 25:20, 25:22, 26:12, 26:16, 27:8, 27:12, 27:19, 28:6, 28:12, 28:25 operational [2] - 37:14, 80:6 operations [1] - 11:20 opportunity [2] - 36:7, 93:10 opposed [2] - 49:13, 105:15 optimistic [1] - 90:9 ORDER [1] - 3:1 order [1] - 46:23 ordered [2] - 39:12, 39:15 organization [1] - 30:6 original [8] - 25:14,</p>	<p>originally [1] - 25:22 Oscoda [10] - 1:4, 7:21, 21:10, 30:17, 50:10, 64:22, 94:10, 94:18, 98:13, 101:4 OT16 [1] - 78:18 otherwise [1] - 86:24 outdated [1] - 47:23 output [1] - 75:14 outreach [1] - 16:4 outs [1] - 82:24 outstanding [2] - 42:25, 43:8 overall [1] - 9:23 overshadows [1] - 63:9 oversight [3] - 17:16, 17:24, 18:1 overwhelmed [1] - 68:18 OWAA [1] - 1:17 own [1] - 106:13</p>	<p>path [3] - 22:11, 85:15, 91:3 patience [4] - 4:19, 29:24, 77:23, 93:1 PAULA [1] - 1:7 Paula [10] - 14:5, 30:2, 30:3, 39:2, 40:13, 47:6, 83:15, 87:9, 87:15, 96:25 pause [3] - 99:21, 99:23, 109:14 PDF [5] - 106:17, 106:21, 107:12, 108:7 Pease [2] - 25:23, 26:12 pen [1] - 28:22 people [9] - 3:16, 9:20, 38:3, 96:19, 97:15, 100:6, 105:16, 105:17, 108:4 per [2] - 8:6, 81:11 percent [6] - 23:21, 28:11, 87:3, 87:4, 102:24, 102:25 Perell [1] - 73:7 performance [3] - 35:14, 43:9 performed [1] - 56:25 performing [2] - 17:16, 18:1 perhaps [3] - 4:16, 9:17, 106:4 perimeter [2] - 19:5, 62:16 period [1] - 38:2 periodically [1] - 57:22 permanent [1] - 95:14 permission [4] - 94:20, 97:16, 98:6 person [15] - 1:4, 3:17, 3:24, 5:3, 8:14, 27:6, 27:16, 51:21, 93:16, 93:17, 94:3, 94:25, 98:11, 102:1, 102:14 personally [1] - 64:22 perspective [2] - 59:19, 60:1 pesticides [1] - 101:14 pets [1] - 100:8 PFAS [21] - 15:25, 16:3, 17:5, 17:17, 33:17, 33:20, 45:25, 55:16, 58:23, 59:10,</p>
O			P	
<p>objectively [1] - 5:9 observations [1] - 62:8 obtaining [1] - 18:1 obviously [4] - 31:19, 32:8, 40:8, 57:7 occur [1] - 5:10 occurred [2] - 22:16, 69:9 occurs [1] - 28:20 October [8] - 33:19, 35:5, 35:24, 47:20, 48:2, 98:23, 99:1 OF [1] - 2:1 off-site [1] - 81:14 offer [1] - 13:7 officer [2] - 10:11, 70:24 offline [1] - 8:10 old [1] - 3:25 old-fashioned [1] - 3:25</p>		<p>ones [4] - 48:12, 49:10, 75:9, 96:22 ongoing [7] - 18:24, 31:4, 31:6, 31:8, 31:23, 34:15, 109:15 online [18] - 3:19, 3:21, 8:14, 8:19, 9:11, 9:17, 9:21, 10:24, 17:20, 30:18, 68:21, 74:13, 77:18, 93:15, 102:4, 102:6, 105:25, 106:2 open [6] - 4:25, 5:5, 29:11, 65:19, 105:18, 110:21 opening [1] - 93:12 openly [1] - 5:8 operating [19] - 5:19, 8:6, 13:6, 23:8, 23:12, 23:16, 24:11, 25:14, 25:20, 25:22, 26:12, 26:16, 27:8, 27:12, 27:19, 28:6, 28:12, 28:25 operational [2] - 37:14, 80:6 operations [1] - 11:20 opportunity [2] - 36:7, 93:10 opposed [2] - 49:13, 105:15 optimistic [1] - 90:9 ORDER [1] - 3:1 order [1] - 46:23 ordered [2] - 39:12, 39:15 organization [1] - 30:6 original [8] - 25:14,</p>	<p>P.M [1] - 1:2 p.m [4] - 3:1, 69:9, 69:10, 111:3 pace [1] - 62:11 pad [5] - 36:4, 36:6, 37:4, 58:12, 67:12 page [3] - 17:12, 72:3, 85:5 pages [1] - 68:2 paid [1] - 21:19 Palmer [1] - 94:10 PALMER [3] - 2:2, 94:9, 96:5 paperwork [1] - 29:6 Park [2] - 38:16, 94:15 parked [1] - 97:25 part [14] - 38:5, 43:23, 45:3, 47:11, 53:12, 54:21, 66:13, 67:24, 72:3, 78:20, 78:22, 92:9, 104:1, 105:25 participate [1] - 51:14 participated [1] - 16:21 participating [1] - 16:24 participation [1] - 3:10 particular [1] - 49:10 particularly [1] - 100:14 partner [1] - 22:4</p>	<p>per [2] - 8:6, 81:11 percent [6] - 23:21, 28:11, 87:3, 87:4, 102:24, 102:25 Perell [1] - 73:7 performance [3] - 35:14, 43:9 performed [1] - 56:25 performing [2] - 17:16, 18:1 perhaps [3] - 4:16, 9:17, 106:4 perimeter [2] - 19:5, 62:16 period [1] - 38:2 periodically [1] - 57:22 permanent [1] - 95:14 permission [4] - 94:20, 97:16, 98:6 person [15] - 1:4, 3:17, 3:24, 5:3, 8:14, 27:6, 27:16, 51:21, 93:16, 93:17, 94:3, 94:25, 98:11, 102:1, 102:14 personally [1] - 64:22 perspective [2] - 59:19, 60:1 pesticides [1] - 101:14 pets [1] - 100:8 PFAS [21] - 15:25, 16:3, 17:5, 17:17, 33:17, 33:20, 45:25, 55:16, 58:23, 59:10,</p>

<p>59:15, 60:20, 60:21, 60:22, 60:23, 61:19, 78:24, 101:19, 102:20, 102:23, 102:24</p> <p>PFAS-impacted [1] - 58:23</p> <p>PFASes [2] - 45:6, 91:12</p> <p>PFOA [5] - 60:21, 60:22, 60:23, 61:19, 102:25</p> <p>PFOA/PFAS [2] - 45:10, 61:9</p> <p>PH [1] - 2:2</p> <p>ph [4] - 72:8, 73:7, 91:5, 98:13</p> <p>ph [1] - 12:5</p> <p>phase [1] - 51:12</p> <p>phone [6] - 4:13, 28:19, 68:24, 81:19, 92:17, 102:7</p> <p>photo [1] - 106:11</p> <p>photographs [1] - 35:9</p> <p>photos [3] - 17:15, 32:15, 37:24</p> <p>physical [1] - 27:7</p> <p>pick [2] - 87:18, 109:16</p> <p>picture [3] - 51:24, 98:15, 107:5</p> <p>pictures [3] - 12:16, 12:22, 36:1</p> <p>pieces [1] - 75:24</p> <p>pipes [1] - 79:23</p> <p>pipings [1] - 35:11</p> <p>Place [3] - 7:14, 17:2, 109:2</p> <p>PLACE [29] - 1:17, 7:16, 17:4, 42:23, 47:25, 48:4, 48:9, 48:16, 48:20, 49:7, 49:22, 50:15, 50:20, 51:10, 59:21, 59:25, 65:21, 75:5, 76:5, 77:17, 82:11, 83:20, 84:13, 84:24, 86:17, 86:21, 89:1, 89:4, 110:2</p> <p>place [12] - 55:5, 58:1, 62:9, 63:16, 69:21, 77:9, 78:25, 91:22, 92:6, 96:18, 97:14, 99:15</p> <p>places [1] - 63:6</p> <p>plan [34] - 17:8, 17:10, 19:2, 31:6, 32:17, 32:19, 33:2, 33:4, 34:16, 34:19, 39:13,</p>	<p>54:23, 57:23, 58:2, 58:8, 63:25, 78:11, 82:7, 83:6, 83:24, 84:1, 84:22, 84:24, 85:1, 85:7, 85:20, 86:10, 87:22, 88:9, 88:10, 89:7, 89:13, 89:14, 94:22</p> <p>planned [1] - 84:17</p> <p>planning [2] - 46:11, 82:13</p> <p>plans [3] - 57:21, 89:8, 102:19</p> <p>plant [2] - 78:18, 83:10</p> <p>play [1] - 89:7</p> <p>playing [2] - 100:7, 100:8</p> <p>plumbing [1] - 35:10</p> <p>plume [3] - 57:2, 79:2, 96:14</p> <p>plumes [8] - 78:16, 78:19, 79:6, 79:10, 80:15, 83:10, 95:5, 96:14</p> <p>plus [1] - 88:18</p> <p>point [19] - 5:25, 21:18, 34:21, 36:21, 37:15, 55:17, 62:12, 62:13, 62:17, 62:21, 62:22, 76:2, 77:13, 81:18, 87:6, 91:17, 91:24, 92:7, 93:19</p> <p>points [3] - 5:5, 18:20, 82:24</p> <p>policies [1] - 23:14</p> <p>policy [1] - 85:13</p> <p>polluting [1] - 79:14</p> <p>pools [1] - 61:25</p> <p>portion [4] - 11:10, 11:13, 23:6, 93:8</p> <p>portions [1] - 5:25</p> <p>pose [2] - 3:24, 78:3</p> <p>posed [1] - 93:15</p> <p>position [1] - 64:18</p> <p>positive [1] - 97:5</p> <p>possibility [1] - 79:13</p> <p>possible [5] - 23:11, 49:6, 58:14, 86:13, 109:12</p> <p>possibly [2] - 42:5, 63:19</p> <p>post [1] - 50:23</p> <p>posted [2] - 17:12, 106:14</p> <p>poster [2] - 106:6, 108:23</p> <p>posters [8] - 31:11, 31:14, 31:16, 33:13, 105:24, 106:9,</p>	<p>107:11, 107:12</p> <p>posting [1] - 18:4</p> <p>potential [2] - 49:15, 103:20</p> <p>potentially [2] - 18:3, 49:11</p> <p>pounds [4] - 60:15, 61:4, 61:5, 61:20</p> <p>pre [1] - 32:7</p> <p>pre-treatment [1] - 32:7</p> <p>precursors [1] - 61:8</p> <p>predecessor [1] - 52:6</p> <p>prepare [1] - 5:6</p> <p>prepared [1] - 73:16</p> <p>preparing [1] - 35:6</p> <p>prepping [1] - 32:5</p> <p>presence [1] - 6:9</p> <p>present [11] - 6:11, 6:16, 6:21, 6:24, 23:21, 27:6, 30:3, 38:9, 51:21, 63:4, 110:17</p> <p>presentation [10] - 3:3, 4:22, 6:4, 30:2, 51:22, 69:1, 69:13, 70:8, 77:2, 93:11</p> <p>presentations [5] - 29:22, 51:17, 66:9, 66:10, 66:15</p> <p>presented [2] - 15:21, 31:16</p> <p>presently [1] - 85:25</p> <p>President [1] - 46:18</p> <p>presidential [1] - 71:2</p> <p>press [1] - 4:15</p> <p>pressing [3] - 4:7, 4:8, 4:9</p> <p>pretty [2] - 44:22, 98:21</p> <p>previous [1] - 96:23</p> <p>previously [1] - 33:17</p> <p>primary [4] - 13:9, 25:16, 25:18, 26:2</p> <p>print [6] - 107:7, 107:11, 107:13, 107:17, 108:7, 108:11</p> <p>printable [1] - 108:4</p> <p>printed [3] - 106:20, 106:21, 107:2</p> <p>printer [1] - 107:17</p> <p>privacy [1] - 75:20</p> <p>private [1] - 62:19</p> <p>probability [2] - 37:6, 37:7</p> <p>problem [6] - 10:22, 20:9, 62:16, 75:17, 77:24, 85:8</p> <p>procedures [22] -</p>	<p>5:20, 8:6, 13:6, 14:6, 23:9, 23:12, 23:14, 23:17, 24:10, 25:15, 25:20, 25:22, 26:13, 26:16, 27:8, 27:10, 27:12, 27:19, 28:6, 28:12, 28:25</p> <p>proceed [2] - 28:25, 105:12</p> <p>proceeded [1] - 62:11</p> <p>proceedings [1] - 1:3</p> <p>process [21] - 4:10, 4:18, 16:19, 29:12, 31:1, 32:18, 33:15, 52:18, 54:2, 56:23, 62:10, 63:24, 65:11, 65:19, 66:2, 74:4, 75:11, 75:15, 83:8, 88:2, 109:8</p> <p>processes [2] - 18:4, 59:9</p> <p>produce [1] - 64:21</p> <p>profile [1] - 55:22</p> <p>program [3] - 12:3, 46:11, 66:25</p> <p>programs [3] - 11:25, 57:24, 104:12</p> <p>progress [11] - 5:6, 12:21, 18:25, 22:12, 22:17, 30:20, 32:3, 62:24, 63:3, 86:25, 90:9</p> <p>progressing [1] - 19:1</p> <p>project [11] - 12:2, 12:7, 19:3, 32:10, 40:17, 43:21, 51:24, 55:12, 69:18, 70:2, 110:18</p> <p>projects [8] - 11:23, 42:12, 52:8, 68:16, 80:25, 81:1, 90:4, 104:12</p> <p>prompt [1] - 4:13</p> <p>promulgated [1] - 91:14</p> <p>propensity [1] - 5:6</p> <p>property [3] - 94:12, 94:15, 97:23</p> <p>proposed [5] - 19:3, 32:17, 33:2, 49:11, 63:25</p> <p>protracted [1] - 21:24</p> <p>provide [12] - 6:2, 11:14, 22:9, 50:20, 51:9, 56:12, 75:5, 76:1, 98:4, 109:3, 109:10, 110:18</p> <p>provided [9] - 17:11, 36:7, 43:1, 44:4, 44:5, 51:3, 76:16,</p>	<p>103:10, 110:20</p> <p>provides [3] - 25:10, 75:7, 75:8</p> <p>providing [3] - 17:20, 42:20, 47:17</p> <p>proximity [1] - 37:7</p> <p>PT [1] - 91:25</p> <p>public [17] - 6:1, 14:1, 14:2, 18:5, 22:25, 50:22, 60:14, 69:25, 86:11, 93:7, 93:12, 93:17, 94:3, 98:10, 100:1, 101:25, 105:3</p> <p>Public [1] - 1:21</p> <p>PUBLIC [1] - 2:1</p> <p>publicly [1] - 44:13</p> <p>published [2] - 82:16, 102:20</p> <p>pull [3] - 55:4, 95:12, 104:2</p> <p>pulled [1] - 37:11</p> <p>pump [1] - 91:21</p> <p>pumping [3] - 60:25, 64:6, 64:7</p> <p>punch [2] - 80:22, 95:8</p> <p>PUNEET [1] - 1:16</p> <p>Puneet [32] - 9:1, 10:15, 10:18, 19:22, 19:24, 20:12, 21:1, 21:4, 21:8, 27:18, 27:22, 47:4, 47:12, 51:16, 74:16, 74:18, 74:20, 74:22, 74:24, 75:1, 75:2, 75:3, 75:6, 76:8, 76:23, 76:24, 77:21, 92:18, 93:4, 93:5</p> <p>purchased [2] - 39:4, 41:4</p> <p>purpose [2] - 22:19, 95:1</p> <p>purposeful [1] - 74:3</p> <p>push [5] - 40:12, 40:13, 46:16, 87:13, 92:2</p> <p>pushed [4] - 38:16, 40:16, 40:17</p> <p>pushing [2] - 80:20, 87:10</p> <p>put [19] - 14:13, 35:12, 44:16, 56:8, 73:7, 75:24, 77:13, 79:23, 94:11, 94:13, 94:15, 94:16, 94:20, 94:23, 104:6, 106:12, 107:1, 107:20, 107:22</p> <p>putting [6] - 66:21, 75:11, 75:12, 75:20,</p>
--	---	---	---	---

85:3, 96:8	86:7, 88:4, 88:6, 89:18, 90:23, 92:14, 92:17, 93:9, 93:13, 94:5, 98:5, 104:19, 106:15, 109:2, 109:3, 109:10, 110:12, 110:13, 111:3	recognize [1] - 9:9 recognized [1] - 26:25 recollection [2] - 83:23, 84:15 recommendation [1] - 54:19 recommended [1] - 52:2 reconvened [1] - 69:10 record [2] - 33:3, 110:1 recorded [1] - 3:22 recording [2] - 4:14, 4:15 recordings [1] - 48:6 records [1] - 100:19 reduce [1] - 107:24 referenced [1] - 44:11 referring [1] - 67:14 regarding [9] - 1:3, 13:24, 16:22, 55:11, 65:1, 78:10, 83:8, 89:23, 90:25 region [2] - 16:2, 16:5 regulated [1] - 59:10 regulations [1] - 53:8 regulatory [2] - 59:7, 59:19 relate [1] - 91:9 related [5] - 20:19, 51:13, 66:7, 86:9, 108:18 relationship [2] - 42:11, 90:10 relay [2] - 5:9, 109:9 relaying [1] - 81:20 release [5] - 50:22, 65:12, 66:2, 103:20, 109:8 released [2] - 50:19, 86:11 releasing [1] - 48:11 relevant [2] - 51:7, 109:1 relied [1] - 49:16 remain [3] - 5:4, 42:18, 105:19 remaining [2] - 16:8, 105:9 remarks [3] - 3:8, 105:8, 105:12 remedial [1] - 5:21, 12:13, 18:10, 32:18, 33:4, 64:1, 74:4, 79:5, 83:23, 91:20 remediation [1] - 95:23 remember [4] - 23:8, 82:11, 83:25, 96:15	remembering [1] - 84:1 remind [1] - 68:21 reminder [2] - 8:8, 21:12 removal [26] - 5:22, 30:23, 35:22, 36:10, 37:9, 38:12, 45:20, 45:24, 51:24, 53:7, 53:9, 53:10, 53:15, 53:18, 54:4, 55:11, 57:1, 60:16, 62:23, 63:7, 67:12, 67:20, 68:5, 68:13, 68:14, 70:2 remove [2] - 54:19, 58:11 removed [16] - 25:17, 35:24, 36:5, 36:6, 36:13, 37:11, 37:13, 53:18, 54:22, 54:25, 55:2, 58:14, 60:20, 60:22, 60:24, 64:10 removing [1] - 57:5 replacement [3] - 18:23, 20:20 report [3] - 31:19, 31:20, 100:19 reported [2] - 100:20 REPORTED [1] - 1:20 REPORTER [2] - 11:3, 11:7 reporter [1] - 3:19 Reporter [2] - 1:21, 11:2 Reporting [1] - 111:9 reporting [1] - 100:21 repository [2] - 13:24, 14:9 representative [2] - 17:18, 70:25 representatives [1] - 8:4 representing [1] - 7:8 request [6] - 18:7, 18:10, 18:12, 18:16, 24:19, 68:20 requested [1] - 89:20 require [2] - 63:6, 65:14 required [1] - 102:11 requirements [1] - 51:8 re-read [1] - 68:2 resampling [2] - 20:1, 20:14 reserved [1] - 5:23 reset [1] - 37:3 resident [3] - 94:17, 94:25, 96:6	residential [5] - 20:1, 20:13, 47:3, 75:14, 75:16 resolved [4] - 41:25, 42:5, 43:6, 43:17 resources [1] - 80:3 Respect [1] - 4:24 respectfully [1] - 5:2 respects [1] - 24:11 respond [1] - 28:5 responded [1] - 17:7 response [4] - 18:12, 82:22, 97:5, 97:6 responses [1] - 17:9 rest [2] - 85:6, 87:16 restoration [1] - 54:15 RESTORATION [1] - 1:1 Restoration [1] - 3:5 restriction [1] - 27:12 results [3] - 18:2, 74:11, 75:21 retire [1] - 18:22 review [9] - 5:18, 22:10, 26:16, 29:14, 33:5, 66:16, 66:22, 66:24, 67:25 reviewed [1] - 29:10 reviewing [2] - 16:19, 89:6 reviews [1] - 49:10 revise [1] - 19:2 revised [1] - 20:20 revising [1] - 13:8 revisions [2] - 24:2, 24:3 REX [1] - 1:19 Rex [5] - 9:18, 29:1, 56:21, 56:23 RFP [1] - 55:7 RI [29] - 30:22, 31:1, 31:3, 31:13, 31:19, 31:20, 33:12, 34:14, 38:21, 58:4, 58:15, 58:16, 63:17, 72:23, 73:21, 73:22, 78:10, 81:25, 82:2, 82:6, 83:6, 85:20, 85:21, 86:5, 86:10, 89:14, 91:4, 91:19 rid [5] - 21:16, 46:1, 46:2, 46:4, 46:16 right-of-way [1] - 97:21 right-of-ways [1] - 97:19 rights [2] - 95:4, 96:18 risk [7] - 12:6, 12:12, 12:15, 16:22, 31:5, 53:16, 89:13
Q				
QAPP [1] - 31:4 QRS [1] - 111:9 quality [3] - 17:25, 106:11, 108:9 Quentina [4] - 1:21, 11:1, 11:5, 111:9 questions [39] - 3:24, 5:24, 6:5, 12:24, 26:8, 38:23, 42:10, 51:12, 51:17, 51:18, 51:21, 52:14, 56:16, 60:11, 62:2, 66:4, 69:1, 69:12, 69:14, 78:3, 78:5, 78:8, 86:7, 89:10, 89:18, 90:23, 92:14, 105:16, 105:17, 105:19, 105:21, 105:22, 105:23, 106:5, 106:7, 108:22, 110:10, 110:21 quick [12] - 4:24, 13:21, 29:9, 31:2, 56:21, 60:19, 73:15, 82:22, 89:1, 99:23, 102:16, 109:15 quickly [3] - 49:6, 58:14, 59:1 quite [5] - 5:22, 64:16, 83:11, 96:16, 98:25 quorum [2] - 6:7, 8:6	RABs [3] - 26:19, 26:24, 72:6 radar [1] - 75:22 raise [6] - 4:4, 4:7, 8:19, 11:18, 102:6, 102:11 raised [3] - 51:18, 64:25, 106:2 raising [2] - 3:25, 78:12 ran [1] - 92:1 rather [1] - 39:14 rationale [1] - 36:9 Ratliff [2] - 38:15, 94:15 re [1] - 80:7 re-numbered [1] - 80:7 reach [2] - 51:15, 110:22 reaches [1] - 89:10 react [1] - 63:15 reaction [1] - 63:12 read [6] - 4:23, 38:10, 45:12, 49:1, 107:6, 108:14 ready [6] - 12:24, 23:16, 37:18, 41:6, 46:17, 69:25 real [10] - 4:24, 27:7, 29:8, 51:3, 56:21, 66:17, 82:22, 93:20, 99:23, 109:15 real-time [1] - 51:3 realized [1] - 53:14 really [22] - 22:15, 32:13, 35:21, 43:6, 46:21, 47:16, 49:4, 49:5, 50:6, 51:2, 55:7, 57:3, 57:4, 57:8, 59:22, 66:17, 69:17, 75:22, 78:13, 88:13, 109:24 reason [7] - 37:3, 37:8, 52:11, 53:7, 53:10, 101:12, 107:4 reasons [1] - 107:25 received [3] - 18:11, 28:10, 45:13 receiving [1] - 49:24 recent [1] - 84:1 recently [1] - 80:20			
R				
RAB [87] - 1:1, 1:9, 1:15, 3:23, 4:2, 4:6, 4:21, 4:23, 5:11, 5:17, 5:18, 5:19, 5:24, 5:25, 6:2, 7:4, 9:10, 11:13, 13:3, 13:5, 13:9, 13:22, 14:14, 14:22, 16:9, 21:13, 23:5, 23:6, 23:10, 23:19, 23:21, 24:13, 25:15, 25:18, 26:9, 26:12, 27:5, 27:8, 27:9, 27:10, 27:12, 27:19, 28:11, 29:2, 29:10, 29:13, 29:20, 31:16, 38:9, 38:23, 47:21, 47:22, 48:10, 49:3, 49:9, 50:17, 51:6, 51:20, 56:24, 62:3, 66:4, 69:2, 69:12, 69:14, 72:2, 73:3, 78:8,				

<p>river [5] - 74:1, 98:16, 98:25, 100:4, 100:24</p> <p>River [8] - 78:19, 78:21, 79:15, 81:12, 83:10, 84:7, 84:12, 85:20</p> <p>road [1] - 73:19</p> <p>Rochelle [1] - 111:9</p> <p>rocks [1] - 25:3</p> <p>ROD [12] - 32:18, 41:20, 41:21, 42:15, 42:16, 42:25, 43:1, 63:25, 67:16, 91:25, 92:1, 92:6</p> <p>ROI [1] - 17:17</p> <p>role [2] - 54:9, 54:11</p> <p>rolling [2] - 52:16, 52:17</p> <p>room [2] - 31:12, 46:1</p> <p>rough [2] - 37:14, 96:25</p> <p>roughly [3] - 61:5, 70:1, 86:16</p> <p>round [5] - 20:2, 20:14, 74:12, 76:20</p> <p>rounds [1] - 76:15</p> <p>RSCS [1] - 90:2</p> <p>rules [4] - 4:21, 4:24, 5:11, 53:8</p> <p>run [1] - 23:15</p> <p>running [3] - 9:20, 11:22, 32:24</p> <p>Ryan [4] - 8:15, 8:16, 9:8, 15:9</p>	<p>76:15, 87:8, 88:15, 95:7</p> <p>save [1] - 108:8</p> <p>saw [1] - 100:12</p> <p>scenario [2] - 40:11, 53:14</p> <p>schedule [13] - 33:1, 33:7, 38:7, 38:14, 39:19, 39:20, 39:22, 40:25, 41:11, 41:14, 41:16, 72:23, 92:16</p> <p>scheduled [1] - 39:3</p> <p>schedules [1] - 73:1</p> <p>Schulz [2] - 9:16, 29:1</p> <p>SCHULZ [1] - 1:8</p> <p>science [2] - 15:5, 104:6</p> <p>scientist [1] - 63:14</p> <p>scope [2] - 80:25</p> <p>scoping [3] - 31:3, 32:16, 33:1</p> <p>Scott [2] - 9:17, 29:1</p> <p>seal [1] - 95:12</p> <p>season [12] - 37:20, 40:21, 63:20, 86:15, 86:23, 86:25, 87:8, 88:3, 88:12, 90:13, 90:15, 90:17</p> <p>second [6] - 3:14, 20:4, 20:8, 69:4, 76:20, 78:22</p> <p>secondary [2] - 78:23, 80:11</p> <p>seconds [1] - 4:18</p> <p>section [1] - 23:7</p> <p>security [1] - 19:5</p> <p>see [69] - 4:2, 4:3, 4:19, 5:15, 6:3, 6:19, 7:7, 7:13, 8:2, 8:13, 8:15, 8:23, 9:14, 9:16, 12:17, 12:20, 12:22, 13:1, 14:2, 15:9, 21:3, 22:23, 23:3, 23:20, 23:23, 24:15, 25:7, 26:3, 27:10, 29:8, 31:3, 32:3, 32:14, 34:19, 35:10, 36:2, 37:25, 45:25, 46:23, 48:14, 49:5, 49:19, 50:10, 51:17, 55:22, 56:20, 57:15, 57:22, 58:5, 69:6, 71:19, 71:24, 73:6, 73:8, 73:16, 78:7, 86:7, 90:21, 92:8, 93:13, 95:13, 99:22, 100:14, 100:15, 102:3, 102:8, 105:8</p> <p>seeing [6] - 58:13,</p>	<p>69:19, 69:22, 98:15, 100:6, 101:3</p> <p>selected [1] - 55:25</p> <p>send [2] - 51:6, 108:25</p> <p>sense [2] - 58:24, 67:18</p> <p>sent [8] - 43:25, 44:11, 45:12, 79:11, 96:16, 97:4, 109:21</p> <p>separate [1] - 56:6</p> <p>separated [1] - 55:17</p> <p>September [5] - 34:9, 34:11, 39:21, 47:20, 48:1</p> <p>septic [2] - 101:9, 104:5</p> <p>sequester [1] - 7:24</p> <p>SERDP [5] - 64:3, 79:22, 103:2, 104:10</p> <p>SERDP-ESTCP [2] - 64:3, 79:22</p> <p>serious [1] - 46:19</p> <p>serve [2] - 3:7, 23:13</p> <p>service [1] - 21:15</p> <p>Service [11] - 8:4, 8:23, 16:10, 16:16, 16:25, 28:4, 79:20, 86:2, 89:6, 89:23, 90:2</p> <p>services [1] - 21:16</p> <p>Services [5] - 7:12, 9:2, 10:19, 19:24, 74:17</p> <p>session [1] - 108:23</p> <p>set [2] - 31:11, 105:10</p> <p>sets [1] - 91:5</p> <p>settled [1] - 91:4</p> <p>seven [4] - 5:9, 27:15, 39:24, 41:1</p> <p>several [5] - 17:11, 22:3, 64:4, 94:10, 96:14</p> <p>sewer [2] - 21:15, 21:20</p> <p>share [12] - 5:8, 13:20, 44:14, 47:7, 47:13, 73:10, 76:23, 85:16, 94:7, 103:24, 104:17, 104:24</p> <p>shared [4] - 44:13, 50:2, 73:3, 82:17</p> <p>sharing [2] - 18:2, 87:24</p> <p>SHARON [1] - 2:3</p> <p>Sharon [7] - 52:21, 52:23, 53:4, 54:8, 54:10, 67:5, 67:7</p> <p>sheet [4] - 71:20, 72:3, 72:9, 73:9</p> <p>sheets [3] - 71:11,</p>	<p>71:13, 109:10</p> <p>shoot [3] - 17:21, 21:4, 21:5</p> <p>shore [3] - 94:14, 94:24, 99:12</p> <p>short [4] - 38:2, 57:22, 59:2, 64:19</p> <p>short-term [1] - 57:22</p> <p>Shorthand [1] - 1:21</p> <p>shortly [1] - 17:13</p> <p>show [10] - 4:11, 23:24, 24:16, 27:6, 35:3, 57:11, 72:18, 76:19, 77:14, 103:2</p> <p>showed [4] - 37:5, 39:21, 47:5, 72:8</p> <p>showing [1] - 74:13</p> <p>shown [1] - 84:21</p> <p>shows [7] - 39:23, 40:25, 47:14, 80:5, 80:6, 80:10, 98:17</p> <p>shrinking [1] - 57:2</p> <p>side [3] - 96:9, 96:10, 96:12</p> <p>sides [1] - 103:10</p> <p>sign [4] - 20:19, 20:20, 28:13, 28:15</p> <p>signature [2] - 44:8, 102:21</p> <p>signatures [1] - 103:12</p> <p>signed [5] - 33:9, 38:18, 42:6, 43:1, 95:20</p> <p>significant [3] - 14:8, 61:14, 61:16</p> <p>signing [1] - 28:20</p> <p>signs [1] - 58:13</p> <p>similar [1] - 61:1</p> <p>simple [1] - 48:17</p> <p>simulations [2] - 56:25, 57:4</p> <p>sit [1] - 47:21</p> <p>site [22] - 12:19, 17:19, 30:21, 32:2, 32:5, 33:16, 35:1, 35:3, 35:4, 35:6, 55:13, 58:17, 61:3, 61:13, 61:20, 69:18, 70:11, 72:8, 73:17, 81:14, 92:1, 92:5</p> <p>sites [6] - 16:4, 26:23, 80:8, 104:2, 104:19, 104:20</p> <p>sitting [2] - 62:5, 95:25</p> <p>situated [1] - 30:6</p> <p>situation [2] - 25:21, 101:3</p> <p>six [11] - 4:9, 4:15, 5:7,</p>	<p>27:15, 60:15, 60:17, 60:25, 68:23, 81:8, 108:17</p> <p>size [3] - 61:25, 107:17, 108:4</p> <p>slab [2] - 35:7, 35:13</p> <p>slack [1] - 87:18</p> <p>slant [1] - 49:15</p> <p>slide [28] - 3:14, 4:19, 5:15, 8:7, 11:9, 11:11, 13:1, 23:5, 23:7, 30:1, 30:25, 31:2, 31:18, 31:24, 32:22, 33:10, 34:24, 35:19, 35:25, 36:2, 36:11, 36:25, 38:6, 38:10, 66:20, 93:6, 105:5</p> <p>slides [1] - 30:15</p> <p>slipped [1] - 40:8</p> <p>slow [1] - 91:4</p> <p>slower [1] - 62:11</p> <p>slowly [1] - 17:19</p> <p>slows [1] - 41:12</p> <p>small [3] - 58:12, 104:13, 106:7</p> <p>snow [1] - 37:9</p> <p>Snowden [3] - 1:21, 11:1, 111:9</p> <p>soil [34] - 5:22, 30:23, 33:24, 33:25, 34:3, 35:22, 36:1, 36:8, 36:10, 36:13, 36:17, 45:20, 51:24, 53:7, 53:9, 53:13, 54:4, 55:11, 55:21, 57:1, 57:6, 57:7, 59:4, 60:22, 62:23, 63:6, 67:11, 68:5, 80:22, 83:2, 87:2, 87:3, 88:20</p> <p>soils [1] - 58:23</p> <p>solution [3] - 22:7, 63:9, 90:1</p> <p>solutions [1] - 103:13</p> <p>someone [1] - 104:2</p> <p>sometimes [2] - 14:6, 102:11</p> <p>somewhat [1] - 78:14</p> <p>somewhere [3] - 53:24, 79:25, 94:16</p> <p>soon [8] - 20:21, 33:6, 63:20, 69:23, 71:4, 74:6, 86:13, 103:22</p> <p>sooner [1] - 92:3</p> <p>sore [1] - 104:7</p> <p>sorry [18] - 7:24, 8:9, 10:8, 10:20, 21:20, 27:21, 33:22, 33:23, 49:23, 49:24, 52:24,</p>
S				
<p>Sable [16] - 7:8, 8:18, 9:5, 19:20, 74:1, 78:19, 78:21, 79:14, 81:12, 83:10, 84:7, 84:12, 84:14, 84:18, 85:20, 98:13</p> <p>safe [1] - 98:21</p> <p>sale [1] - 56:3</p> <p>sample [2] - 33:16, 55:1</p> <p>sampled [6] - 33:17, 33:19, 33:20, 34:11, 53:14, 57:14</p> <p>samples [10] - 17:25, 20:15, 34:1, 34:13, 88:19, 95:9, 102:21, 103:16, 103:18</p> <p>sampling [21] - 33:24, 33:25, 34:3, 34:5, 34:7, 34:10, 34:15, 34:20, 37:5, 47:3, 52:16, 57:24, 58:1, 74:10, 74:12, 75:14,</p>				

<p>53:6, 54:12, 60:8, 81:19, 87:11, 90:18, 91:17</p> <p>sound [1] - 61:21</p> <p>sounds [2] - 76:22, 81:5</p> <p>source [10] - 46:1, 46:2, 46:4, 54:7, 64:11, 78:24, 79:1, 80:11, 99:15, 101:17</p> <p>sources [3] - 46:17, 101:7, 104:4</p> <p>south [4] - 82:14, 83:25, 94:18, 98:16</p> <p>southeast [1] - 47:10</p> <p>space [1] - 18:24</p> <p>SPEAKER [4] - 7:19, 8:9, 8:20, 93:24</p> <p>speakers [4] - 70:19, 71:21, 76:3, 107:9</p> <p>speaking [2] - 49:4, 53:1</p> <p>specialty [1] - 12:6</p> <p>species [2] - 43:4, 43:16</p> <p>specific [4] - 58:2, 59:6, 59:14, 69:13</p> <p>specifically [1] - 54:20</p> <p>spectrum [1] - 102:21</p> <p>speed [2] - 15:23, 63:2</p> <p>spent [2] - 69:20, 72:4</p> <p>split [1] - 102:25</p> <p>spot [2] - 22:20, 56:8</p> <p>SPP [1] - 34:9</p> <p>spread [3] - 77:9, 77:11, 100:17</p> <p>spring [6] - 33:8, 34:23, 36:5, 38:17, 38:19, 41:10</p> <p>staff [4] - 21:3, 30:9, 90:20, 102:3</p> <p>stage [1] - 91:20</p> <p>stakeholder [3] - 5:17, 11:10, 11:12</p> <p>stand [2] - 20:7, 30:11</p> <p>standard [1] - 29:12</p> <p>standardized [1] - 26:15</p> <p>standing [1] - 104:7</p> <p>star [8] - 4:8, 4:9, 4:14, 4:15, 68:23, 102:7, 102:12</p> <p>start [28] - 13:3, 28:22, 32:10, 33:7, 37:18, 37:22, 38:17, 38:18, 38:25, 39:21, 40:20, 42:6, 44:7, 52:15, 53:21, 57:8, 58:18, 69:8, 74:5, 80:12, 82:4, 82:25, 86:14,</p>	<p>92:5, 93:13, 93:14, 94:2, 110:6</p> <p>started [10] - 12:21, 12:23, 19:21, 32:5, 33:18, 35:5, 35:23, 38:14, 39:14, 44:7</p> <p>starting [4] - 13:4, 41:7, 41:9, 91:24</p> <p>state [6] - 21:24, 27:22, 43:3, 43:16, 59:19, 100:19</p> <p>State [9] - 78:15, 79:11, 80:10, 80:18, 81:6, 99:1, 99:14, 99:20, 99:25</p> <p>statement [2] - 58:22, 85:19</p> <p>status [3] - 21:23, 65:24, 89:21</p> <p>Stayer [1] - 9:5</p> <p>step [16] - 23:4, 33:15, 33:22, 33:23, 33:24, 34:6, 52:13, 55:8, 73:24, 82:24, 82:25, 85:3, 87:21</p> <p>step-outs [1] - 82:24</p> <p>stepped [1] - 87:17</p> <p>stepping [2] - 14:7, 96:12</p> <p>steps [1] - 73:17</p> <p>Steve [5] - 11:17, 11:18, 11:19, 12:3, 66:14</p> <p>stick [1] - 87:14</p> <p>sticking [1] - 35:10</p> <p>still [27] - 5:12, 16:19, 18:3, 31:4, 31:6, 32:25, 34:14, 34:22, 41:23, 42:19, 42:25, 43:13, 48:4, 51:12, 53:1, 67:2, 67:7, 67:9, 73:4, 74:22, 75:15, 80:14, 88:1, 91:15, 108:13</p> <p>stock [1] - 15:11</p> <p>STOCK [6] - 1:12, 6:21, 15:12, 74:9, 76:4, 77:7</p> <p>Stock [2] - 6:20, 74:8</p> <p>stop [3] - 11:5, 34:22, 62:7</p> <p>stopping [1] - 22:13</p> <p>storing [1] - 36:19</p> <p>storm [3] - 21:20, 21:21, 22:6</p> <p>story [2] - 7:25, 32:24</p> <p>straightforward [1] - 63:14</p> <p>Strayer [3] - 7:9, 8:17, 9:8</p>	<p>Street [1] - 1:4</p> <p>studies [6] - 74:6, 103:2, 104:13, 104:14, 104:18, 104:23</p> <p>study [2] - 58:17, 74:5</p> <p>stuff [5] - 46:20, 79:22, 99:16, 108:18</p> <p>Stuntebeck [10] - 8:3, 8:21, 8:22, 16:10, 28:4, 51:16, 78:2, 89:17, 90:20, 92:18</p> <p>STUNTEBECK [5] - 1:18, 16:12, 16:15, 28:8, 92:23</p> <p>subcontractors [1] - 87:17</p> <p>submitted [3] - 18:7, 18:9, 45:1</p> <p>submitting [1] - 18:15</p> <p>subscriber [1] - 17:22</p> <p>success [1] - 38:4</p> <p>successes [1] - 30:20</p> <p>succinctly [1] - 5:3</p> <p>sudden [2] - 62:18, 72:7</p> <p>suddenly [1] - 52:5</p> <p>SUELTFUSS [117] - 1:7, 3:2, 3:13, 5:14, 6:12, 6:15, 6:17, 6:19, 6:22, 6:25, 7:2, 7:7, 7:17, 7:20, 7:23, 8:2, 8:11, 8:21, 9:12, 9:15, 9:24, 10:6, 10:13, 10:22, 11:4, 11:8, 12:25, 13:15, 13:19, 15:1, 15:7, 15:13, 15:16, 16:7, 16:14, 17:1, 18:17, 19:9, 19:14, 19:16, 19:19, 20:3, 20:7, 20:10, 20:22, 21:1, 22:22, 23:2, 24:5, 24:12, 25:12, 26:5, 26:8, 27:3, 27:21, 27:24, 28:3, 28:9, 28:18, 29:7, 29:19, 30:8, 38:22, 50:16, 51:4, 51:11, 52:22, 53:3, 56:15, 56:18, 58:19, 60:10, 62:2, 64:24, 65:3, 65:6, 65:25, 68:20, 69:11, 70:7, 73:12, 74:8, 74:15, 76:6, 76:10, 76:22, 77:15, 77:21, 77:25, 78:6, 82:21, 83:18, 86:6, 88:22, 89:3, 89:16, 90:19, 92:10, 92:13, 92:22,</p>	<p>92:25, 93:5, 93:25, 98:9, 99:21, 101:5, 101:20, 101:24, 105:2, 105:20, 106:1, 108:16, 109:24, 110:1, 110:4, 110:14, 110:23</p> <p>Sueltenfuss [1] - 3:4</p> <p>suggest [2] - 69:5, 108:18</p> <p>suggested [1] - 64:25</p> <p>suggestion [2] - 76:24, 106:4</p> <p>suggestions [1] - 13:8</p> <p>summarize [1] - 73:16</p> <p>summer [1] - 39:15</p> <p>supplemental [1] - 78:23</p> <p>support [11] - 21:3, 28:6, 30:9, 46:12, 50:14, 52:9, 73:2, 74:7, 74:25, 90:5, 90:20</p> <p>supporting [1] - 108:20</p> <p>surface [2] - 36:8, 102:22</p> <p>surrounding [1] - 50:11</p> <p>swimming [1] - 61:25</p> <p>system [11] - 32:7, 35:15, 37:13, 43:11, 57:13, 60:24, 61:6, 63:13, 63:15, 68:17, 91:22</p> <p>systems [2] - 101:9, 104:5</p>	<p>teleconference [1] - 1:4</p> <p>TELECONFERENCE [4] - 1:16, 1:18, 1:18, 2:3</p> <p>telephone [2] - 4:7, 4:11</p> <p>template [1] - 26:14</p> <p>ten [6] - 4:18, 27:15, 62:25, 63:10, 69:7, 102:24</p> <p>term [1] - 57:22</p> <p>terms [2] - 16:3, 55:16</p> <p>test [8] - 9:22, 94:11, 94:21, 94:23, 99:17, 101:11, 101:13, 101:18</p> <p>tested [6] - 9:20, 75:9, 77:8, 98:22, 99:10, 99:18</p> <p>testing [4] - 59:9, 99:1, 99:25, 101:13</p> <p>thankful [1] - 55:2</p> <p>THE [4] - 2:1, 11:3, 11:7</p> <p>themselves [2] - 6:1, 66:10</p> <p>therefore [1] - 80:11</p> <p>they've [4] - 14:13, 16:18, 81:6, 89:12</p> <p>thinking [1] - 81:2</p> <p>thousand [4] - 34:1, 56:1, 88:18, 88:19</p> <p>thousand-plus [1] - 88:18</p> <p>threatened [2] - 43:4, 43:16</p> <p>threatening [1] - 43:3</p> <p>three [17] - 5:2, 6:2, 19:11, 26:14, 27:14, 33:23, 34:6, 49:20, 72:6, 79:23, 83:16, 85:4, 94:5, 94:13, 96:19, 98:16, 109:6</p> <p>three-inch [1] - 19:11</p> <p>three-minute [1] - 94:5</p> <p>throughout [1] - 98:19</p> <p>throw [1] - 90:24</p> <p>thumb [1] - 104:8</p> <p>thumbs [2] - 20:11, 20:12</p> <p>Tim [3] - 3:4, 52:20, 69:3</p> <p>TIM [2] - 1:7, 1:8</p> <p>time-critical [10] - 37:8, 52:12, 53:15, 58:10, 63:12, 68:4, 68:14, 70:2</p> <p>timeframe [3] - 75:22,</p>
T				
<p>table [2] - 75:21, 95:10</p> <p>talks [2] - 53:15, 73:8</p> <p>Tammy [1] - 22:2</p> <p>tasks [2] - 31:21, 33:3</p> <p>Tawas [1] - 99:13</p> <p>team [18] - 12:3, 12:9, 25:5, 38:3, 50:12, 52:9, 55:3, 55:9, 64:14, 64:15, 81:21, 85:12, 87:17, 87:22, 87:23, 90:5, 103:3</p> <p>technical [4] - 6:4, 13:11, 30:2, 67:20</p> <p>technologies [1] - 64:4</p> <p>technology [5] - 1:4, 54:5, 75:4, 77:22, 93:1</p> <p>techs [2] - 10:7, 20:4</p>	<p>table [2] - 75:21, 95:10</p> <p>talks [2] - 53:15, 73:8</p> <p>Tammy [1] - 22:2</p> <p>tasks [2] - 31:21, 33:3</p> <p>Tawas [1] - 99:13</p> <p>team [18] - 12:3, 12:9, 25:5, 38:3, 50:12, 52:9, 55:3, 55:9, 64:14, 64:15, 81:21, 85:12, 87:17, 87:22, 87:23, 90:5, 103:3</p> <p>technical [4] - 6:4, 13:11, 30:2, 67:20</p> <p>technologies [1] - 64:4</p> <p>technology [5] - 1:4, 54:5, 75:4, 77:22, 93:1</p> <p>techs [2] - 10:7, 20:4</p>			

<p>76:1, 90:12 timeline [1] - 38:9 timely [3] - 65:12, 66:3, 109:9 timing [2] - 51:24, 52:13 TO [1] - 3:1 today [10] - 3:10, 12:10, 12:14, 24:2, 24:14, 24:22, 25:11, 26:11, 35:3, 90:8 together [18] - 5:1, 14:13, 22:4, 25:5, 42:13, 44:16, 52:10, 66:23, 67:17, 75:12, 75:25, 77:13, 85:15, 95:23, 104:2, 110:18 tone [1] - 49:14 tonight [5] - 5:17, 11:18, 30:16, 30:20, 110:11 tonight's [2] - 3:7, 3:20 tons [2] - 36:1, 36:12 took [5] - 40:10, 46:22, 68:18, 98:16, 108:7 tooling [1] - 95:12 top [4] - 55:24, 55:25, 82:12, 97:3 topic [5] - 11:13, 21:17, 85:19, 104:3, 108:19 total [4] - 61:2, 75:8, 97:1, 98:7 touch [2] - 16:4, 24:19 tour [1] - 60:14 towards [2] - 5:23, 66:20 town [10] - 17:10, 18:9, 77:4, 77:6, 77:14, 77:16, 77:17, 100:3, 103:25 Township [12] - 7:8, 8:18, 9:5, 19:20, 21:10, 21:20, 22:2, 22:9, 62:7, 64:22, 94:10, 98:14 toxicity [1] - 36:22 toxicologist [2] - 12:5, 12:12 toxicology [2] - 12:15, 16:22 tracers [1] - 101:14 tracing [1] - 79:6 training [3] - 12:15, 36:3, 36:4 transcribed [4] - 51:1, 65:7, 66:1, 109:7 Transcript [1] - 1:3</p>	<p>transcript [3] - 3:20, 21:7, 68:2 transcription [2] - 65:1, 65:13 transcriptions [1] - 65:9 transcripts [1] - 49:12 transported [2] - 36:14, 55:14 transporting [1] - 36:17 treat [1] - 91:22 treated [1] - 26:25 treating [2] - 64:7 treatment [9] - 32:7, 35:15, 37:13, 57:13, 60:24, 61:6, 78:17, 79:24, 83:9 trees [1] - 19:6 tried [1] - 83:2 trillion [1] - 81:11 trim [1] - 19:7 trip [1] - 71:1 truck [1] - 97:25 true [4] - 50:3, 91:15, 101:1, 101:2 trust [1] - 27:1 trustee [1] - 94:10 try [8] - 14:22, 20:5, 79:23, 85:9, 87:10, 90:6, 97:18, 107:13 trying [15] - 12:1, 12:2, 30:6, 32:11, 35:16, 42:11, 60:5, 63:18, 66:19, 79:22, 90:3, 96:13, 96:15, 97:10, 97:18 turn [14] - 3:8, 13:16, 15:2, 16:10, 17:2, 19:22, 21:9, 23:22, 55:7, 56:22, 61:8, 82:22, 93:16, 109:18 turned [2] - 62:14, 88:9 turning [1] - 93:22 turns [1] - 32:13 twice [1] - 68:2 two [20] - 5:1, 10:2, 14:10, 19:11, 20:2, 20:14, 25:24, 27:14, 33:22, 33:24, 60:7, 63:15, 67:17, 72:3, 72:22, 76:15, 86:5, 94:16, 103:1, 108:19 two-inch [1] - 19:11 two-page [1] - 72:3 tying [1] - 67:17 type [3] - 49:3, 72:8, 75:19 types [1] - 102:24</p>	<p>typically [2] - 5:18, 109:18</p> <p style="text-align: center;">U</p> <p>U.S [3] - 36:14, 55:8, 56:9 UFP [1] - 31:4 UFP-QAPP [1] - 31:4 un-mute [7] - 4:9, 4:14, 10:21, 54:13, 76:12, 76:13, 90:21 un-muted [2] - 4:17, 75:1 unable [1] - 76:13 unbeknownst [1] - 72:7 under [5] - 31:1, 35:13, 55:1, 57:24, 58:12 undergoing [2] - 22:10, 33:5 underground [1] - 35:7 unit [4] - 67:16, 67:24, 68:6, 80:7 UNKNOWN [4] - 7:19, 8:9, 8:20, 93:24 unless [1] - 107:3 unresolved [3] - 41:24, 42:17, 42:18 unto [1] - 79:1 up [53] - 4:11, 11:22, 12:17, 14:7, 15:5, 15:22, 18:14, 20:11, 20:12, 25:8, 25:16, 27:11, 30:10, 31:11, 32:15, 34:3, 34:16, 34:23, 35:10, 37:21, 41:6, 48:9, 53:21, 54:7, 57:10, 61:24, 65:11, 66:19, 69:8, 72:8, 72:14, 75:6, 76:2, 79:15, 80:21, 87:18, 89:5, 90:6, 93:18, 93:19, 94:6, 95:12, 98:18, 99:18, 101:7, 105:13, 105:18, 106:16, 106:22, 107:2, 107:20, 109:16, 110:11 upcoming [1] - 19:3 Update [1] - 5:17 update [14] - 5:22, 11:13, 11:15, 13:16, 13:17, 15:8, 16:11, 19:24, 20:1, 23:5, 29:20, 30:22, 31:2, 33:12</p>	<p>updated [7] - 25:1, 25:7, 38:8, 71:20, 71:23, 71:24, 109:10 updates [9] - 11:10, 11:14, 15:2, 15:11, 16:9, 17:11, 23:1, 25:4, 92:21 updating [1] - 17:14 upgrading [1] - 14:8 usage [2] - 21:20, 21:21 USDA [4] - 8:22, 16:10, 28:4, 90:1 utilities [1] - 35:8 utilizing [1] - 25:15</p> <p style="text-align: center;">V</p> <p>valuable [1] - 66:7 value [1] - 20:18 values [1] - 75:10 Van [8] - 32:23, 33:7, 38:15, 40:4, 62:19, 74:2, 94:14, 94:24 various [1] - 59:8 VARLEY [126] - 1:16, 3:9, 7:6, 9:22, 11:16, 22:1, 22:21, 24:6, 25:2, 28:15, 29:5, 29:18, 37:2, 40:10, 40:16, 40:20, 41:19, 42:1, 42:4, 42:8, 42:15, 42:19, 43:20, 43:24, 44:2, 44:14, 44:19, 44:24, 45:3, 45:7, 45:11, 45:15, 45:18, 46:6, 46:10, 47:1, 52:7, 53:4, 54:1, 54:10, 54:22, 58:9, 60:5, 61:7, 61:11, 61:16, 63:11, 64:10, 64:23, 65:13, 65:18, 66:12, 68:8, 68:13, 69:22, 70:6, 70:12, 70:17, 70:23, 71:9, 71:13, 71:16, 71:19, 71:23, 72:12, 72:16, 73:6, 73:18, 73:20, 77:3, 79:4, 79:16, 79:19, 80:2, 80:14, 81:7, 81:9, 81:14, 81:17, 82:1, 82:20, 82:23, 83:11, 84:9, 84:16, 84:20, 84:23, 85:2, 85:7, 85:22, 85:25, 86:13, 86:19, 86:22, 88:6, 88:10, 88:17, 89:9, 89:24, 90:13, 91:5, 91:16, 95:2, 96:11,</p>	<p>101:6, 101:12, 101:16, 101:23, 103:4, 103:7, 103:17, 103:22, 104:9, 104:21, 104:25, 105:22, 106:14, 106:20, 106:24, 107:1, 107:8, 107:19, 107:22, 109:25, 110:3, 110:15 Varley [6] - 7:5, 11:15, 21:22, 24:12, 73:15, 110:14 varley [1] - 82:22 vary [1] - 97:14 VAS [2] - 82:15, 84:25 vast [1] - 82:15 VAUGHN [1] - 1:19 Vaughn [5] - 9:18, 12:4, 29:1, 56:21, 56:23 verbatim [1] - 3:20 verify [1] - 9:25 verifying [1] - 75:15 version [4] - 24:24, 24:25, 25:17 versus [2] - 60:23, 68:16 vertical [3] - 34:6, 55:22, 95:7 via [2] - 1:4, 102:7 VIA [4] - 1:16, 1:18, 1:18, 2:3 viable [1] - 64:4 video [1] - 1:4 view [2] - 5:5, 60:8 Vij [8] - 9:1, 10:15, 10:18, 19:22, 51:16, 74:16, 74:21, 92:18 VIJ [17] - 1:16, 10:20, 19:25, 20:6, 20:9, 20:13, 20:24, 27:20, 27:23, 76:8, 76:12, 77:1, 77:5, 77:11, 77:20, 77:24, 93:3 virtual [1] - 3:18 virtually [1] - 51:15 visit [1] - 12:19 voice [2] - 4:14, 4:15 volume [1] - 20:5 volumes [1] - 60:25 vote [5] - 23:16, 23:24, 24:16, 27:2, 27:10 votes [1] - 28:10 voting [1] - 27:16 VRIESENKA [8] - 2:3, 52:20, 52:24, 53:5, 54:12, 55:20, 67:9, 67:19</p>
--	---	---	---	---

Vriesenga [1] - 52:21	willing [1] - 108:6	21:14, 26:14, 46:21, 60:17, 60:25, 62:5, 62:10, 63:1, 63:10, 72:22, 78:11, 81:8, 86:5, 92:7, 94:11, 103:1
W	wind [1] - 100:18	
wait [3] - 4:18, 20:10, 34:19	Winn [40] - 1:12, 6:24, 15:15, 38:24, 39:2, 39:9, 39:19, 40:2, 40:5, 40:7, 40:15, 40:19, 40:22, 40:25, 41:3, 41:8, 41:15, 41:20, 41:23, 42:3, 42:7, 42:14, 42:17, 43:18, 43:22, 44:1, 44:9, 45:17, 45:19, 46:8, 46:14, 47:2, 47:18, 48:3, 48:7, 48:13, 48:19, 48:22, 49:17, 50:7	yesterday [8] - 12:18, 15:4, 15:6, 32:2, 35:2, 37:25, 60:14, 99:13
waiting [4] - 37:2, 44:15, 63:9, 71:2	Winn [3] - 6:23, 15:14, 62:21	yourself [3] - 4:9, 4:10, 4:14
walk [2] - 32:2, 35:1	winter [7] - 34:22, 39:13, 39:17, 40:18, 41:12, 63:19, 97:12	yourselves [2] - 68:22, 68:23
wants [2] - 18:22, 56:12	wintertime [1] - 32:9	
Waste [1] - 36:14	wisely [1] - 5:2	
waste [10] - 36:18, 36:20, 55:15, 58:23, 59:6, 59:8, 59:12, 59:15	wishing [1] - 102:3	
wastes [1] - 59:13	wonder [1] - 21:2	
wastewater [2] - 78:17, 83:9	wonderful [1] - 62:23	
watches [1] - 69:4	wondering [3] - 52:4, 89:21, 96:7	
watching [2] - 62:5, 62:9	word [2] - 10:2, 91:21	
water [8] - 21:15, 21:16, 22:6, 80:23, 95:10, 99:11, 102:22	workload [1] - 11:25	
ways [1] - 97:19	works [1] - 79:24	
weather [5] - 32:13, 34:17, 34:22, 34:23, 41:13	wrap [1] - 105:13	
web [1] - 17:12	writing [2] - 18:16, 78:20	
website [5] - 17:12, 17:14, 25:9, 50:23, 106:15	WURTSMITH [1] - 1:1	
WEDNESDAY [1] - 1:1	Wurtsmith [9] - 1:3, 3:5, 7:21, 17:22, 18:18, 25:21, 25:24, 54:15, 109:10	
week [7] - 34:4, 35:23, 37:17, 37:19, 69:24, 85:10	Wusterbarth [3] - 6:25, 15:16, 69:15	
weeks [6] - 33:18, 37:23, 49:20, 55:4, 66:22	WUSTERBARTH [22] - 1:13, 7:1, 15:17, 24:18, 24:23, 26:7, 51:23, 54:8, 54:17, 55:10, 56:14, 56:17, 69:16, 70:4, 70:10, 70:14, 70:20, 71:7, 71:10, 71:18, 71:22, 73:11	
welcome [4] - 3:5, 7:17, 9:16, 29:4	Y	
wells [23] - 20:15, 33:16, 33:19, 35:11, 35:14, 47:5, 57:12, 57:14, 57:20, 62:19, 75:9, 77:7, 82:14, 82:16, 83:24, 84:11, 84:17, 85:3, 86:1, 94:23, 95:14, 97:9	year [15] - 35:17, 37:9, 38:20, 67:25, 70:12, 71:3, 71:5, 72:22, 73:8, 79:11, 80:8, 88:15, 100:13, 100:14	
west [4] - 94:14, 94:24, 96:9, 96:11	years [17] - 14:11,	
whack [1] - 33:23		
whatsoever [1] - 86:25		
white [1] - 98:20		
who've [1] - 21:12		
whole [7] - 25:15, 38:24, 51:2, 60:4, 70:2, 88:3, 102:21		